

U.S. DEPARTMENT OF HEALTH AND HUMAN SERVICES
CENTERS FOR DISEASE CONTROL
NATIONAL INSTITUTE FOR OCCUPATIONAL
SAFETY AND HEALTH

+ + + + +

ADVISORY BOARD ON RADIATION AND
WORKER HEALTH

+ + + + +

WORK GROUP ON TBD-6000

+ + + + +

TUESDAY
AUGUST 28, 2012

+ + + + +

The Work Group convened in the Zurich Room of the Cincinnati Airport Marriott, 2395 Progress Drive, Hebron, Kentucky, at 9:00 a.m., Paul L. Ziemer, Chairman, presiding.

PRESENT:

PAUL L. ZIEMER, Chairman
JOSIE BEACH, Member
WANDA I. MUNN, Member
JOHN W. POSTON, SR., Member

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

ALSO PRESENT:

TED KATZ, Designated Federal Official
DAVE ALLEN, DCAS
ROBERT ANIGSTEIN, SC&A
PATRICIA JESKE*
JOSH KINMAN, DCAS*
JOHN MAURO, SC&A*
DAN McKEEL*
JIM NETON, DCAS
L. MICHAEL RAFKY, HHS*
JOHN RAMSPOTT*
WILLIAM THURBER, SC&A*

*Participating via telephone

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

T-A-B-L-E O-F C-O-N-T-E-N-T-S

Welcome and Roll call	4
SC&A Surrogate Data Review for the General Steel Industries SEC Petition 00105 and DCAS Responses: Related SC&A Recommendation for the Use of GSI Data and DCAS Responses	
Bob Anigstein	8
John Mauro	40
Dave Allen	45 45
GSI Petitioner Comments and Responses	
Dan McKeel	82
Patricia Jeske	96
Work Group Discussion and Recommendations on the Use of Surrogate Data and/or Alternative Approaches	235
Status of Remaining TBD Issues and Discussion of Open Issues as Time Permits	269
Adjournment	274

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 P-R-O-C-E-E-D-I-N-G-S

2 (9:00 a.m.)

3 MR. KATZ: Good morning, everyone.

4 This is the Advisory Board on Radiation and
5 Worker Health, TBD-6000 Work Group.

6 Let's get started with roll call.

7 We're dealing with a specific site, GSI, so
8 also speak to conflict of interest. And we'll
9 begin roll call with Board Members, with the
10 Chair.

11 (Roll call.)

12 MR. KATZ: Okay. The agenda and
13 related materials for the meeting that were
14 received in time are posted on the NIOSH web
15 site.

16 And, Paul, it's your agenda.

17 Please, for everyone on the line,
18 mute your phones except when you're addressing
19 the group. Press *6 to mute your phone, and
20 press *6 again to take your phone off of mute.

21 Thank you.

22 MS. JESKE: Excuse me. This is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Patricia Jeske. I was on mute and couldn't
2 get it off on time. I'm the petitioner for
3 GSI.

4 MR. KATZ: Oh, good to hear from
5 you, Patricia. Welcome.

6 CHAIRMAN ZIEMER: Okay. Thank
7 you, everyone, and I'll call the meeting
8 officially to order.

9 The business today focuses on the
10 issue that came before the full Board at its
11 last meeting. And I will just remind you of
12 what the recommendation of the Work Group was,
13 and this recommendation was approved by the
14 full Board and it is this: we recommended
15 that the discussions relating to the residual
16 period and the desire of the Work Group to
17 confirm the appropriateness of the use of
18 TBD-6000 model of uranium site facilities as a
19 surrogate for the handling of uranium at
20 General Steel Industries,

21 the Work Group recommends that the
22 Board not take action on the SEC Petition

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 00105, but defer action until the next full
2 Board meeting, and that this recommendation
3 was based on the discussions that the Work
4 Group had relating to the residual period and
5 the desire to confirm the appropriateness of
6 the use of the TBD-6000 model of uranium site
7 facilities as surrogate for handling of the
8 uranium at General Steel. And it was also
9 indicated that this applies both to the
10 operational period as well as to the residual
11 period.

12 So, that recommendation was
13 approved by the Board, and as a consequence of
14 that, we are meeting today to focus on that
15 issue and its implications.

16 Also, I'll just remind you that
17 the issue of the surrogate data focuses
18 primarily on the uranium contamination part of
19 the dose reconstruction; that is, the internal
20 dose component for the operational period.
21 And of course for the residual period, the
22 internal dose would be the primary issue of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 concern.

2 So we have asked SC&A to review
3 the NIOSH use of surrogate data in this
4 instance and SC&A has done that. We also have
5 a response from NIOSH on SC&A's
6 recommendations and we also have comments from
7 the petitioner relative to this issue.

8 So we can begin with SC&A. And I
9 know you all have seen the paper that Bob has
10 developed on behalf of SC&A.

11 And, Bob, you may want to
12 highlight your findings and what SC&A's
13 evaluation was.

14 Then we'll have an opportunity for
15 NIOSH to respond and also for the petitioner
16 to make input on this issue.

17 And just a slight delay here. I
18 think we're getting some information up on the
19 screen here. Stand by a minute.

20 Okay, Bob.

21 DR. ANIGSTEIN: Yes. All right.

22 So as Dr. Ziemer pointed out --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRMAN ZIEMER: Can you speak
2 loud, because the mics have to pick you up and
3 the people on the phone need to hear you?

4 DR. ANIGSTEIN: Okay. I'll bring
5 this maybe a little closer.

6 CHAIRMAN ZIEMER: Bob is fighting a
7 cold. There might be a little difficulty here.

8 DR. ANIGSTEIN: Okay. My voice
9 isn't quite as strong as usual.

10 All right. Well, first, in all
11 fairness, the original Appendix BB came out in
12 year 2007. The uranium dust loading in the
13 air and deposition was based on surrogate data
14 which was taken from the TBD-6000 which had
15 been issued the year before, which was a
16 review of about five different sites and
17 described the work practices at these sites,
18 sites that handled uranium metal.

19 Subsequent to that, the Board
20 issued -- actually, it was SC&A drafted and
21 the Board adopted a set of five criteria for
22 the use of surrogate data. So in all

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 fairness, the initial use of the surrogate
2 data was several years before these criteria
3 were issued. Nevertheless, that is the
4 standard by which we will be reviewing it.

5 And the Criterion 1 is the
6 hierarchy of data. First I'll give you a
7 summary and then I'll go through in detail how
8 each criterion was evaluated. And one
9 critique we have is that there was data. In
10 1993, there was a FUSRAP survey of the
11 contamination of the floor of the old betatron
12 building. It was a very detailed survey. And
13 this was at the very end of the residual
14 period, so it's contiguous to this period of
15 operation. I mean, the entire period of
16 evaluation starts in 1953, which is presumed
17 to be the beginning of AEC operations at GSI,
18 and it ends with the clean-up in, I think it
19 was June, 1993, 40 years later. But anyone
20 working during any of that period was
21 potentially exposed to radioactive
22 contamination/radiation and therefore subject

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to have a dose reconstruction.

2 So there was one piece of data,
3 one set of data that was not utilized.
4 Furthermore, there were adjustments that were
5 made to the surrogate data that was used that
6 in our opinion were not appropriate for the
7 uranium handling scenario with GSI, and I'll
8 go into more detail.

9 Criterion 2 is the exclusivity
10 constraint. One of the subsets in that
11 criterion is that any use of surrogate data
12 needs to be stringently justified, that's the
13 wording in the criterion, and we feel that
14 they were not stringently justified.

15 Criterion 3 deals with site or
16 process similarities, and we find there were
17 dissimilarities. First, a scenario that was
18 adopted by NIOSH was the stamping of slugs
19 produced by powder metallurgy. Now this is
20 quite different than the physical form, the
21 metallurgical form of the uranium that was
22 actually handled at GSI which were either

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 recast ingots, meaning first they had cast
2 them -- they called derbies, smaller shapes,
3 and then they were melted and cast into
4 ingots, or they were directly reduced dingots,
5 uranium tetrafluoride which reacted with
6 magnesium to directly form uranium metal.
7 Neither of these is similar to making slugs
8 with powder metallurgy.

9 The processes. In the one case
10 numbers were stamped on the slugs, and that
11 was a source of uranium dust. And that again
12 had no similarity to what's going on at GSI.

13 Next there were -- we say that,
14 yes, NIOSH did review data at four additional
15 sites. We just got this review last week. We
16 performed some cursory review of these data,
17 but not -- when I'm talking about use of
18 surrogate data, I'm talking about the original
19 slug stamping scenario, not the new data that
20 NIOSH has just presented.

21 And finally, there was not
22 sufficient data about the surrogate site,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 where were the stamping -- it was not
2 identified where the slug stamping took place,
3 and therefore we have no knowledge of that
4 site. There was a -- earlier we had -- we
5 were concerned about the temporal
6 considerations, which is the time period of
7 the measurement that was cited and the time
8 period at GSI. And that has since -- we just
9 needed a satisfactory explanation. And in
10 fact, NIOSH has subsequently furnished such a
11 satisfactory explanation, so that is no longer
12 an issue.

13 The biggest issue is probably the
14 plausibility of the model. We feel that the
15 calculation of the surface contamination from
16 the uranium aerosol, airborne uranium, was not
17 scientifically plausible. And the statement,
18 the assumption that the surface contamination
19 resulted only from the slow deposition of
20 aerosols did not conform to workplace
21 plausibility. And we go on in detail.

22 Okay. Back to Criterion 1,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 hierarchy of data. "Data should only be used"
2 -- and I'm quoting. This is a quote.
3 Everything in italics is quoted directly from
4 the Board criteria. "Surrogate data should
5 only be used if the surrogate data have some
6 distinctive advantages over the available
7 data, and then only after the appropriate
8 adjustments have been made to reflect
9 uncertainty inherent in their substitution."

10 Now normally to my mind, and this
11 can be -- I would like verification from John
12 Mauro on this, because he was the author of
13 this. I would assume that the adjustment for
14 certainty would mean an increase in the value.

15 Well, we're not certain where it is, so we
16 take the 95th percentile or some upper level.

17 Is that -- John, am I correct in
18 my interpretation?

19 DR. MAURO: Yes, the main thrust
20 is that, you know, you're never going to get a
21 perfect surrogate. And once you recognize the
22 differences between your real situation that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 you're dealing with and the surrogate
2 situation, if at all possible, try to make
3 accommodations to deal with that, one of
4 which, of course, you just pointed out, has to
5 do with, let's work with the high-end values
6 to be sure that we're not missing. But there
7 may be other factors. But there's a lot of
8 judgment made, and this is what makes the
9 surrogate process difficult and, you know,
10 when have you struck that balance? But
11 anyway, yes, you're correct.

12 DR. ANIGSTEIN: Okay. Thank you.

13 And then the other is that there is -- here
14 are the data that were available. There was
15 no monitoring. We all agree there was no
16 monitoring of the uranium intake at GSI. The
17 only hard data is the duration of uranium
18 handling operations, which is based on the
19 Mallinckrodt purchase orders.

20 The Mallinckrodt purchase orders
21 said, we're going to pay you so much during
22 this particular time period, say \$500 or --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 I'm just making it up -- one number that was
2 cited -- for doing radiography during these
3 three months and we're going to pay you at the
4 rate of \$16 an hour. So it's easy to estimate
5 the hours, simply taking the total amount and
6 dividing it by the hourly rate. So that is on
7 firm ground.

8 However -- and then there were
9 interviews with former workers, a number of
10 interviews. NIOSH was involved. SC&A
11 conducted additional ones to get an idea of
12 the uranium handling operation. However, the
13 data on the -- the very thorough survey of the
14 old betatron building, the only place where
15 uranium contamination was found, was not
16 utilized by NIOSH, and that should have been
17 part of the hierarchy of data.

18 Now the adjustment --

19 MEMBER POSTON: Before you go on,
20 and maybe John would like to jump in, isn't
21 what you've said so far really a subjective
22 judgment? I mean, it's like arguing over

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 which baby is the cutest, I mean, in terms of
2 --

3 DR. ANIGSTEIN: Well,
4 unfortunately it is subjective, but the data,
5 the site-specific data should take precedence
6 over data that was borrowed from another site.
7 And these site-specific data were not
8 utilized by NIOSH.

9 MEMBER POSTON: I was talking
10 about the appropriateness of the statement
11 that you added to that.

12 DR. ANIGSTEIN: The appropriate --
13 well, I will get to -- oh, yes, let me get to
14 it. That's on the next slide.

15 MEMBER POSTON: And the fact you
16 talk about the uncertainty in here and then
17 the substitution. I mean, those are
18 subjective things as far as --

19 DR. ANIGSTEIN: Yes, but this is
20 the Board criteria. This was adopted by the
21 Board.

22 MEMBER POSTON: I understand.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. ANIGSTEIN: So I'm saying --
2 perhaps that might be clarified, because the
3 point is the uncertainty -- this is what they
4 said: There should be some adjustment for it,
5 for uncertainty. However, the adjustment that
6 was made by NIOSH was actually to take the
7 values and substantially lower them. So
8 that's not a question -- that's uncertainty --
9 usually my understanding is that when there
10 is an uncertainty, you resolve it in a
11 claimant- favorable manner, meaning if you're
12 not sure of the dose, you either use the range
13 or you give it some like 95th percentile of
14 the range, some upper amount.

15 Here the value was actually
16 substantially reduced over the measured value,
17 the measured reported value. So that's why
18 I'm questioning the appropriateness --

19 MEMBER POSTON: Okay.

20 DR. ANIGSTEIN: -- of the -- okay.
21 So even though it's not given in the report,
22 actually this does appear in TBD-5000, which

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 TBD-6000 refers to. And there is an equation,
2 which I -- actually, I derived it separately
3 from a statistics textbook, for the
4 relationship between -- if you have a log
5 normal distribution, there is a -- you can
6 calculate the geometric mean and you can also
7 calculate the arithmetic mean, and this
8 equation gives you the relationship between
9 the two. Anyone who has the earlier -- the
10 actual report that was issued last month,
11 there was an error had to be corrected, we
12 left out the parentheses squared part.

13 So anyway, the geometric mean
14 calculated by this formula using the
15 arithmetic mean of 590, this was what was
16 reported in the Harris and Kingsley report on
17 the slug stamping scenario, but this form --
18 but then the geometric mean is only 162 if you
19 assume a geometric standard deviation of 5,
20 which again is -- you can call it surrogate
21 data because its base is an assumption used by
22 NIOSH, but it's certainly not relevant here

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 necessarily. There's no basis for applying it
2 here. It's just a default assumption in
3 TBD-6000.

4 So if you do that, however,
5 because of an error in arithmetic in all of
6 the TBD-6000 -- as a matter of fact,
7 fortuitously I made the same error and I left
8 out the square here and they got to 264 by
9 leaving out the, you know, sigma, log sigma g
10 squared. So that was an error and I believe
11 NIOSH confirmed that that was an error.

12 So if we continue the calculation
13 as described by NIOSH, this is a statement
14 that I took -- I quoted from the recent NIOSH
15 report, that "the use of the geometric mean is
16 an attempt to prevent the value from being
17 unrealistically high." Again, we don't agree
18 that this is a valid adjustment. I just
19 simply say we don't -- we think this value of
20 590 is too high, so we're going to calculate
21 another value that's lower. And the problem
22 we have with that is a single number was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 reported. The only number that was reported
2 was 590. Whether that's an average or a
3 single measurement, we're not sure. More
4 likely it was a single measurement, from my
5 reading of the original source document.

6 However, what NIOSH assumed is,
7 well, we're going to say this is an arithmetic
8 mean. And because we tend to use log normal
9 distributions, we'll derive a log normal
10 distribution from that. Well, that's possibly
11 defensible. But what is not defensible in our
12 opinion is to then say we're going to use a
13 single value of this artificial geometric mean
14 that was from this -- derived from this
15 geometric, this log normal -- the whole thing
16 comes out of one number. You have one number
17 and suddenly you're getting all of these
18 values coming out of that. We feel that this
19 is the number that you have. You have the
20 590. That's the number you use. If you need
21 to use a value, you use the value that was
22 reported.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 And then the next adjustment that
2 NIOSH made was to say that the operator was
3 exposed only 75 percent of the time. Well,
4 and the purpose of TBD-6000, if you're looking
5 at an eight- hour exposure -- I'm not going to
6 state an opinion, you know, state a position
7 on that, but it's plausible. You know, the
8 guy's not going to be at his station where the
9 maximum concentration appears all of the time.

10 He goes away. He does other duties,
11 whatever. But that's like for an eight-hour
12 day.

13 Here the operation was assumed by
14 NIOSH to only take half the time. So if we
15 calculate - - and I'm just making up a number,
16 say one hour a month of this actual uranium
17 handling based on the purchase orders, then
18 they say, ah, but only half an hour is
19 actually spent handling the uranium. The
20 other half hour is spent in the control room
21 while they're doing the radiographic exposure
22 with the betatron. I don't necessarily agree

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 with that, but even then -- so you're already
2 reducing it by half. You don't take 75
3 percent of that 50 percent. That seems again
4 an unreasonable reduction in the exposure.
5 This was done just to be consistent with
6 TBD-6000, but it does not apply -- or we don't
7 feel it applies here. So this is -- Criterion
8 1, we feel is not justified.

9 The exclusivity constraint of 2 is
10 -- this would simply suggest that simply
11 selected there were five scenarios in
12 TBD-6000, and for Appendix BB, the one that
13 produced the lowest concentration was selected
14 because it is the lowest concentration.
15 Again, that does not appear to be stringently
16 justified, and I believe that I read the
17 report that was recently issued where NIOSH
18 agreed that it's not stringently justified.

19 The next is the site or process
20 similarities. First of all, the uranium slugs
21 produced by powder metallurgy simply do not
22 have the same metallurgical properties as the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealgross.com

1 cast uranium ingots or the dingots. We have
2 actually two -- these two forms are different,
3 but they were both handled at -- they were
4 both produced at Mallinckrodt, so we assume
5 they were both handled at GSI, but neither of
6 these conform to powder metallurgy.

7 Then the next part of this
8 criterion is: are there other sources of
9 surrogate data that were not used? So NIOSH
10 has since reviewed the four additional types.

11 I think actually that three sides were --
12 measurements were reported and a fourth one
13 which was done for a temporal time curve.

14 Finally, are there adequate data
15 characterizing the site -- assume the site
16 that was selected, the site where the powder
17 -- the slug sampling took place, to support
18 its application? And the work site is not
19 identified clearly. I think there was a
20 suggestion it may have been Fernald, but it's
21 not -- Harris and Kingsley list a number of
22 operations and they list a number of sites,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 but they don't say which operation was at
2 which site.

3 And then finally, the criterion,
4 do surrogate data reflect the type of
5 operations and work practices at the facility
6 in question, meaning GSI in our opinion? No,
7 it does not. So we feel that criterion 3 is
8 not satisfied.

9 Criterion 4, I'll skip over
10 because that's been resolved. The dates are
11 rather different. It was earlier, but NIOSH
12 made the argument that since there were no
13 particular measures taken to reduce the
14 exposure to uranium dust at GSI, there is no
15 reason to believe that that would be different
16 and that's -- we agree that that's not a
17 significant issue. I'm just mentioning it for
18 the sake of completeness.

19 And finally, the one about the
20 plausibility. Now I have to briefly go over
21 the NIOSH model. The NIOSH model is that
22 somebody comes into the room, let's say the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 old betatron building, that's where we took
2 measurements, I mean, it could be anyplace,
3 and starts handling the uranium. Then the
4 moment the time, the clock starts with the
5 uranium handling, immediately a dust cloud
6 appears. Some aerosol is generated and it
7 starts at that moment. The uranium handling
8 goes on for half an hour. It gets repeated
9 periodically, but at any one time it's half an
10 hour, again according to the scenario that's
11 provided in Appendix BB. So for half an hour
12 this dust is suspended in the air. It's
13 inhaled by the workers performing this work.
14 And most important, it settles to the ground,
15 but it only settles to the ground for 30
16 minutes.

17 So if you know the concentration,
18 this assumed concentration based on TBD-6000,
19 and then you take the settling velocity of I
20 believe it's 7.5 times 10 the minus 4 meters
21 per second, then you can tell that during this
22 time so much dust has settled. Basically it's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 like a belt that the thickness of that belt
2 would be the speed times the time. How far
3 can a uranium particle travel during this
4 time? And it's that and only that amount of
5 uranium that settles to the floor. Because at
6 the end of 30 minutes, poof, it's gone. So
7 that's not a realistic scenario.

8 If we assume that this five-micron
9 AMAD is the average -- the mean particle size
10 and we agree that 7.5 times 10 to the minus 4
11 meters per second is the settling velocity,
12 and if the dust was to extend to the roof of
13 the old betatron building, it would take about
14 4 hours for it to settle. And this is not as
15 absurd as it may seem, because, going back
16 over some of the documents and worker
17 recollection, there were heaters well high up
18 on the wall which would have created an
19 updraft with the space heaters, and they said
20 there was an updraft -- so that there would
21 have been some vertical movement of the air,
22 so that the dust may very well have gone

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 certainly higher than a few feet, which would
2 be the 30-minute settling time. So more dust
3 would have settled to the floor than would
4 have been calculated by that model.

5 And then more recently, in the
6 latest report -- I'm not going to put up it
7 right now, but there was a figure, a curve
8 from Simonds Saw which shows how the air
9 concentrations changed. And this is in the
10 NIOSH response to our report. How the air
11 concentration changed -- function of time.
12 And it took days for it to go away, not half
13 an hour. Because they showed a significant
14 concentration after about two days later
15 still, maybe one-third as much. And then in
16 TBD-6000, there is a statement that it takes
17 30 days to achieve equilibrium between dust --
18 that's not during dust generation. But if
19 there's dust on the floor and you stir it up,
20 of course it gets resuspended. Then it starts
21 settling again and there is a constant back
22 and forth. It goes up, it goes down. And it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 takes about 30 days to achieve equilibrium.
2 So that's certainly not inconsistent with
3 saying that it happens in 30 minutes.

4 And then the other problem with
5 the model that we have is that the surficial
6 contamination is based on deposition during
7 one year. First it's the year, because at the
8 very beginning there seems to be an increase
9 in the frequency of radiography. Then there
10 is a maximum year of July '61 to June '62.
11 And so then NIOSH assumes whatever deposit
12 during that year is constant for all time
13 afterwards. No increase, even though there's
14 additional uranium being handled and no
15 decrease. So we just think this is not a
16 scientifically-correct model. It needs to be
17 -- I mean, the one year, if there is a basis
18 for it, that this should be demonstrated.

19 Then the final --

20 MEMBER POSTON: Can I interrupt
21 you just for a second?

22 DR. ANIGSTEIN: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER POSTON: I think you
2 misspoke, and I want to clarify. You said
3 it's not inconsistent with 30 minutes, and I
4 don't think you meant that.

5 DR. ANIGSTEIN: It's inconsistent
6 with the 30 minutes.

7 MEMBER POSTON: Okay.

8 DR. ANIGSTEIN: A double negative.
9 Thank you.

10 MEMBER POSTON: Because that would
11 mean, if it's not inconsistent --

12 DR. ANIGSTEIN: I thank you very
13 much.

14 MEMBER POSTON: And you said that,
15 I'm pretty sure.

16 DR. ANIGSTEIN: I'm sorry. Thank
17 you for the correction.

18 And then finally, the workplace
19 plausibility; because these are the two in the
20 Criterion 5, is: are the assumed processes and
21 procedures plausible for the facility in
22 question? Have all the factors that could

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 significantly impact exposure been taken into
2 account? Is adequate information available
3 about the facility in order to make a fair
4 assessment?

5 So again, we feel that the aerosol
6 levels from the handling of uranium ingots are
7 not comparable to uranium slug stamping. We
8 also feel that the surface -- that even if we
9 didn't have other problems with the model, the
10 surficial concentration cannot be calculated
11 from the airborne concentration because the
12 settling of the aerosol is not the only
13 source. You have these uranium ingots coming
14 in. There would be loose contamination on the
15 surface, contamination meaning -- it's not
16 really contamination. It's just uranium,
17 uranium oxide, and you could have large flakes
18 falling down during the handling.

19 Now these flakes would not
20 contribute to the inhalation of the worker
21 that's doing the handling. However, they
22 would contribute to the amount of uranium on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the floor. And immediately afterwards, that
2 would not become airborne because it's strong.

3 But here you have these little pieces of
4 uranium lying around. Eventually they get
5 ground underfoot. The forklift trucks go back
6 and forth. We have a picture of trucks
7 actually being used inside the extruding room.

8 And this contributes to the resuspendable
9 surface contamination layer. So again, we
10 believe that this is not fully -- and then I
11 show the 30 days required for equilibrium,
12 which I mentioned before. So we feel that
13 this plausibility, workplace plausibility
14 criterion is not satisfied.

15 So the one alternate scenario
16 before seeing the recent information from
17 NIOSH is -- as we were directed, we looked at
18 the other five scenarios in TBD-6000 and they
19 also were not applicable to GSI. However, we
20 did find there was the Adley report on the
21 handling of uranium -- of the melt plant
22 building at Hanford. And here you had a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 series of operations which were simply
2 handling uranium rods. No machining. No
3 bending. Later on they were bent, they were
4 straightened. But here was just the pure
5 handling. And simply unloading the rods from
6 the truck with a forklift gives you a far
7 higher concentration.

8 This is the measured concentration
9 now. So 3,900 dpm opposed to, what was it,
10 590 -- 560, I think, in TBD-6000. So we have
11 6 times as high and 20 times as high as the
12 value that was actually used by NIOSH, 198.
13 So this would be a more limiting scenario and
14 simply unloading uranium rods. Well, that's
15 probably as close as we could find. I'm not
16 saying we did an exhaustive study of the
17 literature. This is something that we just
18 came up with. That was far more restrictive.
19 So, and even if this was to be adopted, we
20 would still have concerns about the model that
21 was used.

22 So shall I go on now to the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 alternate model or, any other discussion?

2 CHAIRMAN ZIEMER: Let's stop for a
3 minute to see if there are any questions that
4 the Work Group Members have on any of the
5 items that you covered here so far. John?

6 MEMBER POSTON: Two questions:
7 one, these are all measured values, you say?
8 Was that what you said?

9 DR. ANIGSTEIN: Say again?

10 MEMBER POSTON: The values you're
11 showing there on this table, are they all
12 measured values?

13 DR. ANIGSTEIN: Yes.

14 CHAIRMAN ZIEMER: These are the
15 Hanford values?

16 DR. ANIGSTEIN: Yes.

17 MEMBER POSTON: Yes.

18 DR. ANIGSTEIN: Yes, this is
19 correct. Yes, that is in the Adley report.
20 These are the measured values.

21 MEMBER POSTON: Can you help me
22 understand, I'm assuming that the third entry

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 where the concentration is 88, these rods have
2 been straightened and --

3 DR. ANIGSTEIN: Yes.

4 MEMBER POSTON: -- perhaps
5 machined.

6 DR. ANIGSTEIN: I believe, yes.

7 MEMBER POSTON; So they have no
8 surface?

9 DR. ANIGSTEIN: Right. That's
10 probably the case.

11 MEMBER POSTON: Yes. But what's
12 the difference between the first entry and the
13 second entry?

14 DR. ANIGSTEIN: I can't tell you.
15 This was simply -- it was not identified in
16 the report.

17 MEMBER POSTON: Because they both
18 say unloading the truck.

19 DR. ANIGSTEIN: One is unloading
20 and the other is -- I think there were two
21 different work locations. One is unloading
22 the truck with a forklift and the other one is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 I guess; I'm speculating now, the rods will be
2 transferred with a forklift and to another
3 location. And then there will be another
4 monitoring at that location where they were
5 received.

6 MEMBER POSTON: Would you
7 speculate that --

8 DR. ANIGSTEIN: This is simply
9 taken -- there was no further information
10 there. This is many pages of tables in that
11 report of many measurements during many
12 operations and this was the one set of
13 measurements --

14 MEMBER POSTON: Were these the
15 maximum values?

16 DR. ANIGSTEIN: And I believe
17 these were simply single values.

18 MEMBER POSTON: You didn't answer
19 my question.

20 DR. ANIGSTEIN: Excuse me?

21 MEMBER POSTON: You said there
22 were multiple tables with lots of data --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. ANIGSTEIN: Oh, oh --

2 MEMBER POSTON: And I asked you --

3 DR. ANIGSTEIN: No, no. I'm
4 sorry. There were --

5 MEMBER POSTON: -- if these were
6 the maximum values selected from those tables.

7 DR. ANIGSTEIN: No, these were
8 selected on the basis of -- everything else
9 involved melting uranium and handling -- you
10 know, this was the one was selected as were
11 simply handling cold uranium metal as opposed
12 to uranium being heated, uranium being melted.

13 So out of these numerous tables these would
14 be the ones --

15 CHAIRMAN ZIEMER: You felt this
16 was more like GSI?

17 DR. ANIGSTEIN: Pardon?

18 CHAIRMAN ZIEMER: This was more
19 like GSI, is what you're saying?

20 DR. ANIGSTEIN: Right, this was
21 the closest. My colleague Bill Thurber, who's
22 not on the line, went through other sources

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 and found -- this was the one place he found
2 that was the closest in this particular
3 report. This is again one of the reports that
4 was the basis for TBD-6000.

5 MEMBER BEACH: So this isn't
6 something that SC&A came up with? This is one
7 of the scenarios that NIOSH put out, correct?

8 DR. ANIGSTEIN: No, no, no.

9 MEMBER BEACH: No?

10 DR. ANIGSTEIN: No, this is SC&A.
11 This is SC&A looking at alternative -- the
12 original NIOSH scenario was simply the slug
13 stamping, the uranium slugs that had been
14 produced by powder metallurgy, where you
15 simply took a powder and pressed it together
16 under high pressure and temperature and then
17 stamping numbers on it. That's the scenario
18 that NIOSH took. We explored alternatives and
19 we came up with one alternative that was both
20 more -- a better surrogate and also more
21 claimant- favorable.

22 CHAIRMAN ZIEMER: Other questions?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. ALLEN: I got one comment I
2 would make. That Adley -- that report
3 includes a map and then the area there. And I
4 mentioned in my White Paper response to SC&A's
5 thing is, one of the issues with trying to
6 find this kind of information is that you have
7 much higher airborne causing evolutions in the
8 air.

9 CHAIRMAN ZIEMER: Other things
10 going on.

11 MR. ALLEN: And there is a map in
12 Adley that shows that this is a fairly small
13 area. And as Bob shows -- or mentioned,
14 there's quite a bit of airborne samples from
15 other operations that are quite a bit higher
16 than that. It's really impossible to say that
17 this is the kind of airborne you get from cold
18 metal uranium handling --

19 CHAIRMAN ZIEMER: Per se.

20 MR. ALLEN: Per se. I mean, it
21 could very easily be interference from these
22 even higher airborne samples 20 feet away.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 And as far as temporal, whether this happened
2 while the other stuff was going on, it's hard
3 to say. I mean, that's the bottom line, is
4 you really can't say. You don't know.

5 MEMBER BEACH: So it's just
6 another best guess?

7 MR. ALLEN: Yes, but you -- in
8 this particular case and in so many others,
9 you have a very reasonable chance that there's
10 a lot of interference from something happening
11 in open air. And the Adley report does
12 mention summertime, doors and windows open for
13 ventilation. And you know there was, you
14 know, higher airborne measured. And these are
15 20, 30, 40 feet away from higher airborne
16 causing evolutions. It's really not a good
17 set of data to use.

18 DR. ANIGSTEIN: Well, actually
19 that's why we were suggesting, and I'll get to
20 it, an alternative model which doesn't -- we
21 realize that whatever surrogate data is out
22 there, at least that NIOSH has come up with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that we've found, is probably not that good.

2 CHAIRMAN ZIEMER: John?

3 DR. ANIGSTEIN: And that's why we
4 think that a model based only on site-specific
5 data with just a couple of default parameters
6 based on observations in many other places
7 would be more defensible and
8 claimant-favorable, more like a plausible
9 upper -- I'm already jumping ahead.

10 CHAIRMAN ZIEMER: John, were you
11 making a comment? John Mauro?

12 DR. MAURO: Yes, I was going to
13 sort of step back a little, because I think a
14 lot of information has been put on the table
15 right now. It's always good to sort of pause
16 and say, well, you know, what's all this
17 saying, speaking to us?

18 I think that what we're hearing is
19 the starting point for the surrogate model
20 that NIOSH used, this, the slugs and the
21 stamping goes back a long ways. At the time
22 SC&A was supportive of it. I was the one who

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 said, yes, that's probably okay, because in
2 all likelihood the handling of these ingots
3 was not going to be as aggressive as the
4 slugs. So, and we say, yes, that's probably
5 going to bound it. And that was the end.
6 That was the extent, especially at the time.
7 All the attention, of course, was on the
8 betatron and the radium. And the last thing
9 in terms of the hierarchy of important issues
10 and scenarios was this residual dust.

11 So we sort of started out
12 accepting that. But, you know, as we focused
13 in, we said, well, we'll take a little closer
14 look. And I think the important message that
15 comes out of what we just talked about was a
16 starting point is the key. Starting with the
17 dust loading of -- I think it was 550, was the
18 number you cited that came out of the backup
19 documents, the TBD-6000, Harris and Kingsley.

20 And so I think the first place to look is, is
21 that a good starting point, or are there
22 better starting points if you're going to go

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 with the surrogate model? That's really the
2 question.

3 And of course the conversation
4 we're just hearing now is, well, there are
5 other starting points that we might want to
6 consider in light of everything we just talked
7 about. Now, it's important to separate the
8 starting point from then the mechanics. Given
9 this starting point -- you heard a lot of
10 discussion -- whatever starting point you
11 decide to pick, if you decide to go with the
12 surrogate approach, then there are the
13 mechanics of it. And what do we do with that
14 number?

15 And you heard a lot of criticism
16 of the approach, the mechanics used in taking
17 the single number and then, you know, assuming
18 it's a geometric mean, then applying some
19 factors to get -- or assuming it's an
20 arithmetic mean, then applying some factors to
21 get it to a geometric mean, and so on and so
22 on and so on. And there's all this mechanical

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 treatment of that one number that we started
2 with. I think that's a separate question. So
3 it's important to separate are we happy with
4 the starting point, you know, or are there
5 better starting points?

6 And the other question is once we
7 -- if we do find the place where, you know, we
8 sort of like this starting point better, then
9 the mechanics of how you treat it and what do
10 you do with that number, I think that's a
11 separate subject. And I think the -- you
12 know, and it's important to separate those
13 two, because in one case, if you can't find a
14 good starting point you're really in trouble
15 if you have no starting point. If you can,
16 you've got a tractable problem. It's just a
17 matter of now agreeing on the mechanics we're
18 going to use, the mathematics, the assumptions
19 in order to come up with a reasonable dust
20 loading.

21 Now, we're about -- I'm only doing
22 this sort of to set the table a little better.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 If it's determined that you're not very happy
2 with the starting point, Bob has come up with
3 a whole different approach which comes in from
4 a different direction entirely where you don't
5 use surrogate data. But then the question
6 becomes: what's the strength of that approach?

7 So in effect, there are two
8 different strategies before the Work Group.
9 One is to try to start with a surrogate point,
10 the surrogate data as your starting point that
11 you feel is reasonable and understanding all
12 the strengths and limitations of it.

13 The other approach that you
14 haven't heard from yet is, well, there's a
15 whole different approach that could start --
16 your starting point, instead of being
17 surrogate data, it could be some real data
18 that we have in the 1990s of what was residual
19 and then work with that.

20 The reason I only mention this is
21 I like to sort of sometimes step back and
22 collect everything up so that we can move

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 forward from the same perspective. I hope
2 that's helpful.

3 CHAIRMAN ZIEMER: Yes. Okay.
4 Thanks, John.

5 Why don't we go ahead and hear
6 from NIOSH? And have before us their
7 responses and their view on the extent to
8 which the approach that they're proposing
9 meets the criteria. Dave, you want to -- we
10 have your document. You want to highlight
11 some issues or amplify some things --

12 MR. ALLEN: Okay. Well, I mean --

13 CHAIRMAN ZIEMER: -- in response
14 to what Bob has said?

15 MR. ALLEN; Well, I mean, I
16 started that document off with trying to give
17 a background -- this is handling cold uranium
18 metal. This is nothing really specific to one
19 particular site or one particular era. It is
20 a very common task that's done in a lot of
21 different areas. Unfortunately, when you go
22 to all those sites where this was done,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 there's not a lot of air samples for handling
2 of uranium metal, and largely because it's not
3 much of an airborne- causing evolution.

4 I worked myself at a uranium
5 foundry for 14 years and I know for a fact you
6 can handle uranium metal and move it around
7 with a fork truck, et cetera, and there's just
8 not much airborne caused by this.
9 Unfortunately, like I said, it's difficult to
10 show because, you know, a few air samples and
11 everybody's convinced there's nothing and they
12 don't take any more. So there's not a lot out
13 there.

14 I pointed out some of the
15 problems. In my White Paper I pointed out
16 some of the problems, you know, number one,
17 there's not a lot of air samples because of
18 that. People concentrated on the more
19 airborne-causing evolutions in the area. And,
20 two, when they did take a sample or somebody
21 unloading something or handling cold uranium
22 metal often they were unloading it for a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 reason, and that's for, you know, putting it
2 in a furnace or some other manipulation that
3 ends up causing quite a bit more airborne in
4 the vicinity. Those two things cause a lot of
5 trouble trying to find the information.

6 What we did with TBD-6000 and for
7 GSI, we used that slug production. And one
8 way of looking at this is, we used that slug
9 production, which also included other
10 evolutions with uranium or airborne-causing
11 evolutions, and the table in Harris and
12 Kingsley demonstrates other operations. Some
13 were causing higher airborne and some were
14 not. And part of that -- one step of that
15 task included handling an ingot of uranium
16 metal. And made the assumption that the other
17 tasks were going to be higher airborne-causing
18 evolutions and therefore took the median of
19 the -- all the airborne in the vicinity.

20 Actually, it was the median of the
21 higher one, which ended up being somewhat of a
22 median of all those tasks and said that the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 task of handling uranium metal is on the lower
2 half of all the steps in this process.
3 Therefore, we used the median as a constant.
4 That's not a real mathematical or scientific
5 argument there. It's, like I said, some means
6 of trying to keep it from being implausibly
7 high, which is yet another criterion we had to
8 deal with. In my --

9 CHAIRMAN ZIEMER: So this is a
10 judgment that says --

11 MR. ALLEN: It's a judgment.

12 CHAIRMAN ZIEMER: -- typically, as
13 I understand it, typically in addition to any
14 handling of the type done at GSI, most of the
15 other data available is handling plus
16 something else?

17 MR. ALLEN: Right.

18 CHAIRMAN ZIEMER: So the values
19 that you have available would tend to
20 overestimate the handling part because there
21 are other operations. Is that what you're
22 saying?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. ALLEN: Yes.

2 CHAIRMAN ZIEMER: Okay.

3 MR. ALLEN: So they took one
4 operation that included handling, which all of
5 them inherently include handling.

6 CHAIRMAN ZIEMER: Right.

7 MR. ALLEN: And decided that
8 essentially the median -- it couldn't be --
9 the whole encompassing part of the cold
10 uranium metal handling could not be as high as
11 the median of the other -- the entire task, is
12 what it amounts to.

13 In my White Paper response, I
14 pointed out -- I went through a number of
15 places looking for some air samples, most of
16 which have some issues. Like I said, either
17 don't take air samples or take them in the
18 vicinity of other operations. And I pointed
19 out about three -- I think it was three sites
20 where we found some that were -- you know,
21 it's not a great deal of information, but it's
22 somewhat relevant to the conversation anyway

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 and gives you some idea of what I'm talking
2 about.

3 The one that I thought was the
4 most pertinent to GSI, that was only three
5 samples, is the last one. It's the last page,
6 I believe, of my White Paper where it's a BZ
7 of an operator hooking a hoist to a billet and
8 placing it on this machine. And it shows
9 three air samples. One is nine dpm per cubic
10 meter. The other two are non-detectable, so
11 they're even less than the nine. That is the
12 kind of airborne I was used to seeing from
13 handling cold uranium metal.

14 I did have some other ones. They
15 had their own issues where there was other
16 operations going on, but they show still well
17 below -- or at least below -- even the highest
18 one is below what we were using in Appendix
19 BB, but it does demonstrate uncertainty.
20 There is uncertainty with what the number is
21 because there was not a lot of samples,
22 because the samples we do come up with end up

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 having operations in the area, you know,
2 often, or more important, you'll know whether
3 there's another operation going on.

4 So it is looking at these. And
5 from past experience and from the logic I'm
6 seeing with the slug production from TBD-6000,
7 I think using that median as a constant seems
8 to be a bounding approach, probably high, but
9 there's enough uncertainty with the limited
10 number of samples of where it's justified to
11 use that kind of a number.

12 CHAIRMAN ZIEMER: Okay. Board,
13 you have any comments or questions?

14 DR. ANIGSTEIN: I have two
15 comments, and one is the -- I don't want to
16 sound overly pedantic, but again, using the
17 median as a constant there are two
18 assumptions: one, there is an assumption that
19 the single value that is reported is in fact
20 an arithmetic mean which is a single value and
21 that there is an underlying log normal
22 distribution with a GSD, geometric standard

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 deviation, of five that contributes to that
2 arithmetic mean and that you can then
3 calculate the geometric mean, which also for
4 the log normal distribution is the median,
5 from that. These are simply not supported by
6 the information.

7 I mean, this is just -- I don't
8 mean to -- there is a fourfold decrease from
9 the corrected value if you account for the
10 arithmetic error. There is a fourfold change
11 from the reported value to the value that
12 would be used if that calculational error was
13 corrected. And there just does not appear to
14 be just a -- I mean, that should be -- making
15 an argument, plausibility argument, well, we
16 think that it should be lower because there
17 are some other -- there are some additional
18 mechanical agitation going on. So we think it
19 should be lower.

20 Well, you can think it should be
21 lower, but you cannot make a number out of
22 that, with this kind of a manipulation,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 without a sound scientific basis. We just
2 don't feel that. I mean, I would say if
3 anything, use the number and say, well, this
4 is a bounding upper value because we really
5 think it should be lower, but we're going to
6 use this as an upper bound. So that's fine.
7 You can use a number and then make a
8 qualitative statement that this is a
9 conservative number because here the following
10 number should be lower. But not to then say
11 we think it should be lower, so we're going to
12 find some mathematical manipulation to just
13 lower it to where we think it should be. Then
14 you might as well pick the number out of a hat
15 in the first place. And also --

16 CHAIRMAN ZIEMER: You feel it's
17 still considered plausible if it includes --

18 DR. ANIGSTEIN: Say again?

19 CHAIRMAN ZIEMER: In your mind, do
20 you still consider it to be a plausible number
21 even if it includes --

22 DR. ANIGSTEIN: No.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRMAN ZIEMER: -- the --

2 DR. ANIGSTEIN: Pardon me?

3 CHAIRMAN ZIEMER: -- things beyond
4 the handling? You're saying use the --

5 DR. ANIGSTEIN: No, I'm saying
6 that the -- I'm arguing at several levels at
7 once, which is a little difficult. It's a
8 little bit difficult to maintain that
9 position.

10 MEMBER POSTON: It's harder to
11 understand.

12 DR. ANIGSTEIN: Pardon?

13 MEMBER POSTON: And harder to
14 understand.

15 DR. ANIGSTEIN: Oh, okay. I'm
16 sorry.

17 CHAIRMAN ZIEMER: Well, I think
18 that SC&A is --

19 DR. ANIGSTEIN: But I mean they
20 keep going back to -- first of all, the slug
21 stamping scenario is not necessarily a good
22 surrogate. Second of all, the way it's used

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 -- I guess the way I'm doing it because my
2 charge was to compare it to the five criteria
3 and one of the criteria is: were the
4 appropriate adjustments made? And I feel
5 that, no, the adjustments that were made were
6 not appropriate.

7 And also, to jump ahead to
8 something else that Dave said about the other
9 sites that he looked at, one of the ones in
10 his Figure 3, the Chambersburg Engineering --
11 it's a little hard to read. I dug out the
12 original document. If you were to use the
13 same philosophy that TBD-6000 used, and they
14 picked, for instance, for the slug stamping,
15 they did not the average, but they took --
16 there were like -- in Harris and Kingsley
17 there were maybe five different values
18 reported; I'm just going from my memory, and
19 they picked the highest one.

20 Well, if you look at the
21 Chambersburg and you pick -- and they give you
22 high, low, and average for nine operations.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 And if you pick the highest -- never mind the
2 highest value, just the highest average value
3 of those nine, it's 895 dpm per cubic meter.
4 So that's not -- that belies, that contradicts
5 that, oh, well, all of these other operations
6 were lower. This is higher. The reported
7 value is higher than the one, the slug
8 stamping operation of 560, which is a single
9 value, so it's taken to be the average. So
10 here they give you the average and it's about
11 one and a half times higher.

12 MR. ALLEN: Bob, that is for
13 controlling the impactor. That's after it
14 comes out of the furnace and is forged.

15 DR. ANIGSTEIN: Oh, okay.
16 Impactor. Yes, and these are the inspector.
17 No, I read the document, the discussion in the
18 document. And they said, yes, this is
19 interesting that the inspector gets a higher
20 exposure than the actual workers.

21 MR. ALLEN: Well, I doubt that
22 says inspector. I think it says impactor

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 operator.

2 DR. ANIGSTEIN: If you were to
3 read the document, it says "inspector." I'm
4 sorry, "impactor." I'm sorry, the inspector
5 is somewhere else. I take it back. I stand
6 corrected.

7 DR. MAURO: This is John. I'd
8 like to jump in a minute.

9 I think that where we are is --
10 you know, we think that the starting point;
11 that is the stamping of the slugs, when all is
12 said and done, which launches your surrogate
13 approach. The process we just went through,
14 both SC&A and NIOSH, in asking ourselves the
15 question: are there better surrogates out
16 there? And I think that where we're coming
17 out is, it certainly appears that there are.
18 What I mean by better, that is other data
19 that's out there as a starting point that
20 would appear to be closer to the kinds of
21 handling materials that are associated with
22 GSI.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 So it then becomes a matter of,
2 among the suite of alterative starting points
3 for a surrogate are there any that fall into
4 place. And this is how I'm looking at it, that
5 seem to become -- and this is where the
6 judgment comes in -- that seem to be a more
7 reasonable starting place -- starting point?
8 And then once you're -- if you could come to
9 that place. And that's a simple question. If
10 you can't come to that place, well, the whole
11 surrogate approach, you know, then comes in
12 question. Notwithstanding the mechanics that
13 follow; the geometric mean, the arithmetic
14 mean, the occupancy times, et cetera, et
15 cetera, you know, that all becomes moot if you
16 can't find the starting point.

17 So I think it's important that now
18 that we have a fairly nice collection of other
19 starting points, some of which sound as if
20 they're pretty close to the kinds of things
21 that were done at GSI in terms of handling
22 ingots or handling bars, that's really -- if

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 you can't get past that, we're really -- we
2 can't make too much progress. But if we can
3 find it, a place that people feel, well, this
4 looks reasonable, then after that it becomes a
5 matter of, okay, what do we do with that
6 number next in order to make sure we're
7 comfortable with it as it applies, as we go to
8 use it at GSI.

9 And I think that it's so easy to
10 get lost in bouncing back and forth between
11 these two subjects. I think we got to get
12 through the first one. If we take it through
13 the first one, it doesn't even make sense to
14 talk about the mechanics that follow.

15 DR. ANIGSTEIN: If I can add
16 something to the question about the use of the
17 Chambersburg data, I agree, I confused the
18 inspector and the impactor. Nevertheless,
19 what they handled at Chambersburg were
20 half-inch by three-quarter-inch slugs.
21 Little tiny pellets, half an inch diameter,
22 three-quarters of an inch long. The total

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 quantity of uranium handled over a two-day
2 period was 75 pounds. And the smallest piece,
3 the slices, for instance, that they would have
4 done at GSI would have been hundreds of
5 pounds. If they had been whole ingots, that
6 would be even higher. So these are not --
7 again, this is not a comparable operation.

8 CHAIRMAN ZIEMER: As far as
9 handling is concerned is what you're saying?

10 DR. ANIGSTEIN: Yes.

11 CHAIRMAN ZIEMER: Yes.

12 DR. ANIGSTEIN: I mean, the
13 material itself.

14 CHAIRMAN ZIEMER: Now my
15 understanding, Dave, is that your selection of
16 the geometric mean was focused on the
17 plausibility issue that if you use the main --
18 or the tail end value, you would get an
19 implausibly high number. Is that -- am I
20 understanding correctly?

21 MR. ALLEN: Yes.

22 CHAIRMAN ZIEMER: And then we get

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 into this judgment issue of: what is it you
2 select? Because that slug operation that
3 you're using as a surrogate, which is the
4 lowest in that hierarchy of possible
5 applications in TBD- 6000, is still not just
6 handling alone. It's handling plus something
7 going on. And in the handling part, I mean,
8 everybody agrees, is really at the very low
9 end of all of this. And you're saying that if
10 I use the slug thing, I'm implausibly high if
11 I use the numbers as they are because they are
12 handling plus something. Is that correct?

13 MR. ALLEN: Yes.

14 CHAIRMAN ZIEMER: Now, I suppose
15 one could argue, but nonetheless they are
16 still bounding. But then you have that
17 plausibility issue which you're dealing with,
18 and I sort of want to ask SC&A, because I
19 started to ask you, Bob, do you consider it
20 plausible to use the tail end value, the upper
21 value of that? Or, John, if you want to chime
22 in.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Or -- because it's not the
2 stamping per se that is the issue. It's the
3 handling. Now, the stamping thing is stamping
4 plus handling. We're trying to get a handle
5 on the handling part. Is there a way to get
6 that? What would really make me uncomfortable
7 is to say we know something is very low. And
8 dose-wise we know that even if you use the
9 implausibly high one, it's a very small
10 fraction of the doses you assign from the
11 external exposures. I don't recall the
12 numbers.

13 MR. ALLEN: It would vary with
14 different organs.

15 CHAIRMAN ZIEMER: Yes, it varies
16 in different organs. But anyway, is there a
17 way to get a handle on that and meet the
18 criteria?

19 DR. ANIGSTEIN: Now, see, the
20 additional problem is it's not just the
21 airborne exposure during the handling. There
22 is the accumulation of the uranium dust on the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 floor or uranium chunks which become grown
2 into dust and the resuspension. So what isn't
3 mentioned here is also the fact that we
4 disagree with the resuspension factor. I
5 mentioned that earlier. Ten to the minus six
6 is not a plausible number for an active area
7 where people, whether it was foot traffic or
8 vehicular traffic -- it should be much higher.

9 And we disagree with the model.
10 Regardless of what number you use, the model
11 of how the uranium concentration builds up.
12 We think it could be higher. So the argument
13 NIOSH made is, well, this is not an important
14 contribution, the resuspension. Not according
15 to their model. But we would argue that it is
16 in fact, becomes an important contribution if
17 it's treated in a different manner and in a
18 way that we think is more defensible.

19 CHAIRMAN ZIEMER: Well, I don't
20 think you're using 10 to minus 6 in the --

21 MR. ALLEN: Yes, we don't.

22 CHAIRMAN ZIEMER: For both

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 periods?

2 MR. ALLEN: For resuspension, yes.

3 CHAIRMAN ZIEMER: For the active
4 period as well?

5 MR. ALLEN: Yes.

6 DR. MAURO: This is John. The
7 plausibility, I think that that's causing
8 difficulties for us all. When the
9 plausibility clause, the last one, was added,
10 the reason it came in; bear with me a little
11 bit on this, is not for the reasons we're
12 talking about now. It came in because there
13 was a time when we were doing Texas City where
14 there was an operation going on that in many
15 respects was similar to what took place at
16 Blockson in terms of using -- making uranium
17 yellowcake.

18 And the reason the plausibility
19 clause came in; and this came in late, was,
20 Blockson was being used as a surrogate for
21 Texas City. Blockson was handling thousands
22 and thousands of pounds of uranium. And the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 whole idea was, while Texas City only handled
2 300 pounds over a short period of time -- what
3 I'm getting at was, plausibility did not
4 relate to the model.

5 We're talking about -- Bob, you
6 used the term "plausibility," that the model
7 was not plausible. I just want to make -- let
8 everyone understand, when we came up with the
9 term "plausibility" was the site you picked,
10 the operations that you picked were -- and
11 when this originally happened was -- you
12 really can't use Blockson as a surrogate for
13 Texas City. Because the amount of material
14 that was being handled at Blockson was perhaps
15 a factor of a thousand times higher over a
16 different time period and it was very
17 unrelated and it would be inappropriate to
18 just throw some big number like Blockson at
19 Texas City. And it was not a plausible
20 scenario that somehow Blockson could be used
21 as surrogate for the Texas City because of the
22 -- just the sheer quantity of material that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 was handled at Blockson.

2 Now we're here today many years
3 later and the plausibility clause is here.
4 And I think that, Bob, you're referring to the
5 model itself, the way in it's structured as
6 being implausible. And I think that's true,
7 but that wasn't really the intention. I think
8 "implausible" means that you just can't use
9 this particular facility as a surrogate for
10 another facility, or that this exposure level
11 of dust -- for example, you can't pick a level
12 of dust that's very, very high,
13 extraordinarily high and say it's bounding if
14 it was implausible. And I think really that
15 went to the heart of the whole plausibility
16 issue.

17 You just can't pick some very,
18 very big number and say that, well, it's so
19 big we know it could never have reached that,
20 and then you walk away and you say, okay, no
21 SEC because you can bound it. Well, that was
22 the real reason it wasn't plausible to assign

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 such a high number and walk away and say
2 everything is fine.

3 I think it's inappropriate then to
4 then extend the plausibility argument, at
5 least as it was originally invented to, oh,
6 you didn't model it the best way you could
7 have modeled it. So I want to help out a
8 little bit there. If we have a dispute over
9 the model, I think we should discuss that,
10 because that's solvable, you know, but -- and
11 not refer to it as a plausibility issue. I
12 think the plausibility issue is throwing some
13 very, very big number and saying everything's
14 fine. We got a big number we know is going to
15 bound this, if it's impossible that that
16 circumstance could have ever existed at GSI.

17 And I think the stamping operation
18 itself is just not applicable. And it
19 certainly sounds to me that a number of other
20 operations have been identified that seem to
21 be a lot better. They also have their
22 weaknesses, but they certainly appear to be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 better. And to try to force-fit the stamping
2 operation onto GSI seems to be a stretch.

3 CHAIRMAN ZIEMER: Any comments?

4 MEMBER MUNN: Yes.

5 CHAIRMAN ZIEMER: Okay, Wanda?

6 MEMBER MUNN: This entire
7 discussion is extremely difficult. And one of
8 the reasons it's so difficult is because we
9 are talking as if we are dealing with an
10 extremely hazardous material for which any
11 exposure is problematic.

12 In point of fact, the science
13 surrounding uranium is quite well established.

14 We know a lot about uranium. We know a lot
15 about exposures that are subsequent to it. We
16 know a lot about its suspend-ability. We know
17 a lot about sizes of particulates that are
18 necessary in order to create a biological
19 hazard. And yet, we settle upon
20 administrative issues surrounding processes
21 that we've established here in the Board's
22 deliberations at one time or another.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 We're looking at details
2 surrounding a possibility that is dependent
3 directly upon an element we know a great deal
4 about and that we can make legitimate
5 statements about, supposedly without having to
6 prove time and time again that something did
7 not happen. It is -- I'm unsure how to focus
8 this discussion on large known issues
9 surrounding the processes we're talking about,
10 the physical processes we're talking about as
11 opposed to the details of whether models are
12 correct, whether activities did or did not
13 generate dust, what kind of dust, how much,
14 was it resuspended, was it not, what happened
15 after the picture was taken? These are
16 debates that assume there is a significant
17 hazard in handling this material.

18 And if we can't come to some
19 reasonable assertion with respect to how to
20 approach the larger questions rather than
21 spending such a great amount of effort
22 focusing on small issues, as we are right now

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 -- I recognize, the normal response of that
2 is, well, the devil's in the details. Yes,
3 that's true. One can't argue that. But we
4 really are focusing here on whether or not
5 we're dealing with models and minutiae, and
6 I'm unsure how to get us off that.

7 But plausibility is something that
8 is not limited to surrogate data.
9 Plausibility is a matter that we dealt with at
10 the Board level and not always satisfactorily
11 to the perception of all. I'm not sure that
12 we can ever do anything about that, but we
13 have done a remarkable job of holding up each
14 one of these issues to the light and looking
15 at it. I don't know how much longer we can
16 continue to debate it. That's all I have to
17 say.

18 CHAIRMAN ZIEMER: Okay. Well,
19 yes, thank you for those comments.
20 Nonetheless, we're going to have to deal with
21 --

22 MEMBER MUNN: No solution.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRMAN ZIEMER: -- the issue
2 before us.

3 MEMBER MUNN: Yes.

4 CHAIRMAN ZIEMER: For example, on
5 this first item I think we Work Group Members
6 and eventually Board Members will have to
7 decide whether they believe that the use of
8 the stamping operation scenario or some other,
9 if NIOSH wishes to propose something else, is
10 a suitable surrogate. And you justified the
11 surrogate in terms of using that versus some
12 later data and back-extrapolating.

13 MEMBER BEACH: The 1993?

14 CHAIRMAN ZIEMER: The 1993 data
15 and those kind of things. So the Board will
16 need to decide whether or not that is a
17 parameter, on the hierarchy of data, whether
18 surrogate data is better in this case than
19 actual data. That's on this --

20 MEMBER BEACH: Well, actual data
21 from 40 years past.

22 CHAIRMAN ZIEMER: Right, 40 years

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 up the chain and --

2 MEMBER BEACH: And possible
3 cleaning in between, so --

4 CHAIRMAN ZIEMER: Right. Right.

5 MEMBER BEACH: Yes.

6 MEMBER MUNN: You see, again --

7 DR. ANIGSTEIN: I guess, would
8 this be a good time to -- because the
9 alternative model is not just throw everything
10 out and start from scratch. It shows -- it
11 builds on the discussion we've had now. And I
12 think I could bring this to a conclusion by
13 showing how it compares to the other --

14 CHAIRMAN ZIEMER: Well, I'm
15 concerned that we -- if the Advisory -- or if
16 the Work Group here decides to recommend the
17 use of the NIOSH approach, then that becomes a
18 moot point, I suppose.

19 DR. ANIGSTEIN: I see. Okay.

20 DR. MAURO: This is John.

21 CHAIRMAN ZIEMER: Yes.

22 DR. MAURO: One thing, in working

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 with Bob along this and reading David's
2 response, the light went on for me that said,
3 you know, Bob's work, which we'll eventually
4 get to, in a way could be looked at not as a
5 replacement for, but as a validation. What I
6 mean by that is we have this -- now we have a
7 number of different starting points for
8 surrogate data. We have the mechanics of
9 processing that, modeling it, for better or
10 worse, maybe improving on the model, and in
11 the end coming up with some estimate with
12 certainly a degree of uncertainty, for the
13 airborne dust loading as a function of time
14 using a surrogate data approach.

15 And I like the idea that, okay,
16 Bob comes and says, you know, wait a minute,
17 there's a whole other way to come at this
18 thing. And I'm thinking that that's not a
19 replacement for -- and, Bob, you may not agree
20 with me, but it's -- let's look at it more as
21 where do we come out if we come at the problem
22 from this direction, and do we come within an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 order of magnitude when we come in from the
2 other direction from the range of values that
3 we're looking at from the surrogate?

4 I almost see the two complementing
5 each other, not being antagonistic to each
6 other and I think that -- you know, so I've
7 been looking at more as a whole picture and
8 how does all this -- once you're done with all
9 of this, something emerges from it and you
10 start to get a degree of comfort that these
11 independent lines of inquiry, different
12 starting points, different assumptions. And
13 then coming up with that -- do they all start
14 to ring true and bring you to a central
15 attractor in all this chaos that seems to say,
16 yes, no, this is not a bad number?

17 Anyway, I wanted to preface that
18 if we do move into Bob's work, because we
19 could look at it from that perspective.

20 CHAIRMAN ZIEMER: Well, I guess
21 I'd like to hear from NIOSH on the other
22 criteria, too, and any comments you want to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 make on any of those, Dave or Jim.

2 MR. ALLEN: Let me get to my report
3 here and see what the --

4 CHAIRMAN ZIEMER: Well, on
5 exclusivity constraints.

6 MR. ALLEN: Yes, exclusivity
7 restrain -- constraints. If -- and correct me
8 if I'm wrong, if I remember right, the main
9 comment on that was that the use of surrogate
10 data was not stringently justified in Appendix
11 BB, and we agree. We didn't think that small
12 of a source needed much justification, but it
13 definitely didn't use the criteria that was
14 developed after the fact. And any revision in
15 the future does need to include more of a
16 justification for that use, so I don't
17 disagree with that. The framework for that
18 justification is right now intended to be this
19 White Paper.

20 As far as the site processes,
21 we've pretty much discussed that before.
22 There is no task of -- you know, process of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 moving cold uranium metal. It is inherently
2 included in any -- almost anything you do with
3 uranium metal. And we can discuss it more if
4 you want, but I think we've kind of discussed
5 that one to death already.

6 The temporal considerations, I
7 think Bob said he now agrees. And as I
8 pointed out there, it's a physical property of
9 uranium metal. It's not really site- or
10 era-specific.

11 And then the plausibility again.
12 That's -- you know, we've --

13 CHAIRMAN ZIEMER: We've been
14 discussing that.

15 MR. ALLEN: We've been discussing
16 that one, so --

17 MEMBER POSTON: Paul, I think --

18 CHAIRMAN ZIEMER: Yes, John?

19 MEMBER POSTON: I think we have to
20 recognize that we've just been re-calibrated
21 by Wanda. Because if you think about uranium,
22 it's not the dose that really plays the role.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 I know that's the important thing because
2 that's what the legislation says, but we're
3 talking about damage to the kidneys. That's
4 the important thing. And that has nothing to
5 do with radiation at all. And so we're
6 arguing --

7 CHAIRMAN ZIEMER: Well, it's
8 chemical hazard, right.

9 MEMBER POSTON: So we're arguing
10 about insignificant kinds of things, if you
11 really want to get down it, and not focusing
12 on the details that we need to be. Because we
13 know what happens when you ingest or inhale
14 uranium. We know where it goes. We know what
15 the organs are at risk, and those are the
16 kidneys from the nephrotoxicity of the
17 uranium, not from the radiation dose. So
18 we're arguing about things that, in a lot of
19 ways, are not important.

20 MEMBER MUNN: Because they're
21 outside the scope of the --

22 MEMBER POSTON: They're outside the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 --

2 MEMBER MUNN: Of our charter.

3 MEMBER POSTON: So it seems we
4 ought to be able to resolve this thing.

5 CHAIRMAN ZIEMER: It's true, but
6 nonetheless NIOSH, for example, has to do
7 something.

8 MEMBER POSTON: Well --

9 CHAIRMAN ZIEMER: If there is an
10 SEC, then it goes one way. If there's no SEC,
11 they have to be able to reconstruct that part
12 of the dose.

13 MEMBER POSTON: Yes.

14 CHAIRMAN ZIEMER: And --

15 MEMBER POSTON: Well, you cut me
16 off --

17 CHAIRMAN ZIEMER: And --

18 MEMBER POSTON: I said we should
19 be able to resolve this.

20 CHAIRMAN ZIEMER: Right.

21 MEMBER POSTON: We spent a lot of
22 time discussing models and, I mean, the data

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that Bob showed, if you look at the three
2 values that he showed under different
3 situations, they vary almost by a factor of 50
4 because they go from 88 to
5 3,900-and-something. So how do you -- I mean,
6 are we going to just pick blindly a value or
7 something? I mean, Dave's picked a value and
8 tried to justify it based on his 20 years of
9 experience. And I'm not willing to argue with
10 him because I have no experience in terms of
11 the rolling and dealing with uranium. And I
12 have been in a couple plants, but just on
13 tour. So I can't argue that he's not
14 justified those numbers simply based on his
15 experience. Experience has to play a role
16 here. And I'll shut up now.

17 CHAIRMAN ZIEMER: Okay. Other
18 comments?

19 MEMBER BEACH: But that's also why
20 we have the criteria to verify what surrogate
21 data is being used. I mean, that has to come
22 into play, too, which is why we're having this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 discussion.

2 MEMBER POSTON: I agree. I agree.
3 I understand that.

4 CHAIRMAN ZIEMER: Okay. We need
5 to -- yes, before we discuss further, we need
6 to give the petitioner an opportunity to
7 comment on the SC&A document and on Dave's
8 document. We need a break first.

9 Dan? Are you there, Dan McKeel?

10 DR. McKEEL: Yes, sir, I'm here.

11 CHAIRMAN ZIEMER: Yes, I didn't
12 realize the time. We're going to take a
13 15-minute break and then, if you would be
14 prepared to address your issues on the
15 surrogate data.

16 DR. McKEEL: That would be 20
17 minutes of nine? I mean --

18 CHAIRMAN ZIEMER: Yes, about 20
19 of. Yes. Yes.

20 DR. McKEEL: That would be 15
21 minutes from now?

22 CHAIRMAN ZIEMER: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. KATZ: And we have Patricia on
2 the line, too. So she has the opportunity,
3 too.

4 CHAIRMAN ZIEMER: Right. Sure.
5 Sure. Okay. Thank you.

6 (Whereupon, at 10:26 a.m., the
7 above-entitled matter went off the record and
8 resumed at 10:41 a.m.)

9 MR. KATZ: The TBD-6000 Work Group
10 is back from a short break.

11 CHAIRMAN ZIEMER: Okay. We want
12 to have an opportunity to hear from the
13 petitioners on the surrogate data issue. And
14 actually both Patricia and Dan -- and John
15 Ramspott of course, as a site expert, may also
16 want to comment. But in the -- Dan, I know
17 you -- we have a number of comments we've
18 received in writing from you, and I think all
19 of us have those, but why don't you go ahead
20 and add whatever comments you want to at this
21 time on the issue of the surrogate data?

22 DR. McKEEL: Paul, this is Dan

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 McKeel. I guess I've got to say this: the
2 remarks that I've prepared today were on the
3 materials that were sent to me, which is the
4 7/16 SC&A paper, the 7/25 alternate model
5 paper.

6 CHAIRMAN ZIEMER: Right.

7 DR. McKEEL: And then I also sent
8 a set of new data about the residual period.

9 CHAIRMAN ZIEMER: Right.

10 DR. McKEEL: And --

11 CHAIRMAN ZIEMER: I think we all
12 have those.

13 DR. McKEEL: Yes. And really my
14 comments address all of those. So I'll try
15 not to dwell on the alternate model because I
16 understand that that has not really been
17 discussed in detail, but the comments I have
18 overlap all the things that we were talking
19 about this morning. And I do want to get
20 before you all the new information about the
21 residual period, because I think it has an
22 important bearing on how dose reconstruction

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 is done.

2 So my overall conclusion about the
3 surrogate data findings by SC&A are that I
4 agree with SC&A. And I have said since 2008
5 actually that the slug facility does not meet
6 the criteria. And basically it's amazing to
7 me that this issue has arisen so late in the
8 game, but I'm glad it did.

9 I also want to comment that it's
10 my opinion that the motion to examine
11 surrogate data use at GSI was really too
12 limited. It's been my opinion, still is, that
13 the models that are based on computer codes
14 and not validated by real measured data, which
15 is very scant at GSI, are themselves instances
16 of surrogate data and they should have been
17 scrutinized as such.

18 I heard this morning a lot of
19 discussion of uncertainty and I just need to
20 add again for the record that, yes, there's a
21 tremendous amount of uncertainty, but
22 statisticians have developed a very formal

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 discipline of uncertainty analysis that can be
2 applied to a variety of situations just like
3 the things we've been discussing again today.

4 In order to do that and to make it a
5 plausible analysis, you have to have real data
6 to base it upon or you really can't define the
7 uncertainty components. And my strong feeling
8 is that there is not the data needed to define
9 uncertainty by any technique at GSI.

10 Dr. Poston just pointed out that
11 even using the grouped surrogate data from
12 other sites that NIOSH has recently collected
13 and that Dr. Poston -- I mean that Dr. Mauro
14 mentions as, you know, much better than what
15 was used in Appendix BB, even there, there is
16 a very large range between the low and the
17 high values.

18 The other thing I've go to say as
19 a general comment to what's been talked about
20 this morning is that I frankly as
21 co-petitioner and speaking for the GSI work
22 force, I'm shocked to hear uranium dose

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 considerations described by words like
2 unimportant, trivial, that the science is well
3 known, that the issues we're talking about
4 this morning are insignificant, when in fact
5 TBD-6000 is designed expressly to consider
6 uranium doses at uranium metal facilities. So
7 for this program that we're dealing with,
8 EEOICPA 2000, uranium dose is central and
9 certainly is not a side issue.

10 As far as the known-ness of
11 information about uranium, my comment still is
12 that that is true. And that being true, then
13 a lot more certainty should have been achieved
14 in the years we've taken discussing Appendix
15 BB and SEC 00105 about exactly what the doses
16 were at GSI from uranium exposure. And I
17 would say that the -- Dave Allen's paper and
18 his response, which I do want to comment
19 about, ignores a lot of this hard data. In
20 fact, it starts off ignoring the fact that, as
21 he puts it, GSI dealt with uranium billets,
22 when in fact they dealt with ingots, dingots,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 a few billets and betatron slices.

2 Anyway, I have this comment about
3 Dave Allen's response to the SC&A surrogate
4 data findings: the first thing, which is
5 extremely important for the Board in making
6 their recommendation is that Dave Allen agrees
7 that the slug facility uranium operations were
8 not rigorously justified for comparability to
9 GSI under Appendix BB, Rev 0. His argument,
10 however, that this was acceptable because
11 Appendix BB was issued before the surrogate
12 data were -- criteria were ratified by the
13 Board, I think is a -- that that analysis
14 misses the point of what's going on here.

15 The NIOSH uranium intake model for
16 1953 to 1993 is getting its final assessment
17 now as far as appropriateness of adhering to
18 the Board's surrogate data criteria. That's
19 in August of 2012, and that's a couple of
20 years after the Board's surrogate data
21 criteria were finalized. So I just think that
22 Dave Allen's argument does not pass muster on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 that point.

2 I want to make a comment about the
3 SC&A new alternate intake model, and that is a
4 point that I've made before, that while I
5 understand that SC&A's job is to do
6 evaluations, it seems to me that this clearly
7 is development of a new model. And in spite
8 of what John Mauro said, the intent of the new
9 model is to replace the TBD-6000 NIOSH model
10 to be used in surrogate data, and the paper
11 actually says that.

12 The SC&A new model is supposedly
13 based entirely on GSI data, but it's not. And
14 Dr. Anigstein actually alluded to that this
15 morning, saying that a few parameters were
16 borrowed from the literature. I would add
17 that a few of the parameters used in the
18 alternate model were not defined as to what
19 their source were. Basically, the SC&A model
20 relies on differential equations and there are
21 constants in those equations that need to be
22 defined pretty precisely in order to even

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 evaluate the model that SC&A proposes.

2 Anyway, Dave Allen responded to
3 both the surrogate data paper and to the
4 alternate uranium intake model proposed by
5 SC&A. And in that paper he dismissed the SC&A
6 model in one sentence basically saying you
7 cannot back- extrapolate data 40 years from
8 1993. And while I agree with that statement
9 wholeheartedly, Mr. Allen, in saying this,
10 also invalidates NIOSH's own June 2007
11 Appendix BB uranium intake model that relies
12 partly on uranium activity associated with a
13 small industrial vacuum sweeper that was back-
14 extrapolated from the ORNL DOE cleanup under
15 FUSRAP in 1993 at GSI.

16 The new information that I'm going
17 to present to you all on the residual period
18 years 1978 to 1993 provides very compelling
19 evidence, I believe, that bounding the
20 airborne uranium at GSI with sufficient
21 accuracy for SEC 00105 Class members will be
22 difficult or impossible. Dave Allen says the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 new SC&A model has way more uncertainty than
2 the surrogate data model that NIOSH uses from
3 the slug factory. However, in saying that, he
4 ignores SC&A's findings that use of the slug
5 facility data has failed the five Board
6 surrogate data criteria. And then he employs
7 -- and I don't mean to be impolite, but this
8 is a scientifically absurd argument and
9 basically his argument was that if one has no
10 or insufficient real intake data, as is
11 definitely the case at GSI, then one can use
12 inappropriate surrogate data that violates
13 Board SD criteria to bound uranium intakes.

14 Mr. Allen also does not mention
15 application of NIOSH's own surrogate data
16 criteria in OCAS IG-004 to the slug facility,
17 nor does he capture any differences between
18 the NIOSH criteria and the Board surrogate
19 data criteria, and I find that hard to
20 understand.

21 Finally in his paper, Dave Allen
22 does offer some new surrogate data sites that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 could possibly be substituted for the slug
2 facility used in TBD-6000, but it's
3 interesting to me that two of those facilities
4 make slugs which have just been ruled out as
5 passing the Board criteria, and one of the
6 sites deals with uranium billets. Neither one
7 of the three sites actually dealt with uranium
8 ingots and dingots which have a thick outer
9 crust, which have magnesium fluoride coating
10 them, which was subject to the Puzier effect
11 that's not been mentioned.

12 And so there's a lot of
13 incorrectness and inaccuracy in accepting
14 anything except data measured from handling
15 uranium ingots and dingots in the way they
16 were handled at GSI along a long transport
17 path with chains and cranes. And there was a
18 lot of indefiniteness expressed this morning
19 about uranium that's well known. For
20 instance, Dr. Anigstein mentioned that ingots
21 and dingots were heavier. Well, their weight
22 is known. They weight 3,000 pounds apiece.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 And so it required big chains, big thick
2 chains and big cranes.

3 And they were placed on railway
4 transfer cars which were never cleaned. So
5 those cars were contaminated. The rail tracks
6 that passed through building 6 and 7 along the
7 foundry, through 8, 9 and 10, then went into
8 railroad tracks into the new betatron
9 building, railroad tracks branched outside and
10 went into the old betatron building, that
11 entire pathway was contaminated with uranium
12 and none of that was measured. The only thing
13 that ORNL and DOE measured in their cleanup at
14 the end of the residual period was data from
15 the new betatron building -- or they looked
16 for uranium in the new betatron building.
17 Didn't find any. And they found some residual
18 uranium in the old betatron building.

19 So that brings us to the final
20 point that I want to go over, and that is the
21 new information that primarily Mr. Ramspott
22 has developed about the GSI residual period

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 from 1978 to 1993. And I've gotten that
2 together for you all and transmitted that to
3 the Work Group and the full Board.

4 In brief, there were two known
5 extensive cleanups, power pressure washings
6 and rewiring and renovation campaigns, to the
7 new betatron building.

8 The first was in August 1978 by
9 Michigan Metals Processing, who had a
10 three-year contract with National Steel. The
11 new betatron facility was cleaned up, rewired
12 and power washed by the Power Blasting Company
13 in August of 1978 and used thereafter for
14 offices and classrooms. The Michigan Metals
15 Processing contract work also included
16 cleaning up buildings 8, 9 and 10 during the
17 three-year period.

18 And had ORNL, in my opinion,
19 surveyed what they should surveyed, they would
20 have been able to measure residual
21 contamination in those buildings as well, but
22 they didn't even try to do that. Apparently

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 none of the MMP workers wore protective
2 clothing or respirators and an eyewitness
3 states the subject of possible uranium
4 contamination during this cleanup work was not
5 mentioned.

6 There was also a power washing by
7 the Power Blasting Company to the old betatron
8 building interior in 1984. And it was
9 illuminating to me, Mr. Ramspott has
10 photographs before the power washing was done
11 and during the 1990s cleanup by DOE, and
12 interestingly in the early photographs you can
13 see that the walls of the betatron building
14 are painted white. And in the photograph from
15 DOE in 1993 or thereabouts you see that the
16 concrete walls have almost been entirely
17 stripped of the white paint. So this was a
18 powerful blasting operation and I'm sure that
19 mightily disturbed the uranium that was in
20 that building.

21 We believe a company named
22 Affiliated Metals occupied former GSI building

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 6 during part of the residual period and
2 continued the steel pickling operation that
3 Michigan Metals Processing had initiated in
4 1978 through '81. Thus large areas of the
5 former GSI building complex and both betatron
6 facilities were extensively renovated,
7 cleaned, power washed with sufficient force to
8 strip paint from the walls, rewired, paneled
9 in the new betatron building and re-purposed
10 for classroom work and pickling operations.
11 This must have created massive disturbance of
12 the surface dust on floors, walls, ceilings
13 and in air vent ducts.

14 It is difficult to imagine that
15 this entire scenario could be modeled
16 accurately both along the uranium transport
17 and the NDT betatron paths even if you had
18 monitoring data. However, during the same
19 time period no workers were badged and there
20 was no monitoring for uranium done except for
21 the ORNL DOE FUSRAP survey of the old and new
22 betatron buildings.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 When they found some uranium in
2 the old betatron facility, I think it's not
3 surprising, knowing that all this was done,
4 that they found no residual uranium in the new
5 betatron building. The problem is there is no
6 monitoring data, so you can't make conclusions
7 about how the uranium levels varied during the
8 residual period, and it would just be
9 impossible to calculate the exposure to all
10 the workers who worked at that plant from
11 cessation of the AEC contract in 1966 through
12 1993.

13 So my conclusions are that NIOSH
14 has no acceptable uranium intake model for GSI
15 after three attempts. NIOSH rejects the SC&A
16 July 25th, 2012 alternate intake model for
17 uranium. Airborne uranium levels varied
18 widely because of renovation and cleanup and
19 re-purposing work in the GSI betatron
20 buildings and buildings 6, 8, 9 and 10.
21 Therefore we believe the conditions described
22 cannot be modeled absent -- almost complete

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 absence of measured data at GSI.

2 And that would conclude what I
3 have to say about everything that was put
4 before me for this meeting.

5 CHAIRMAN ZIEMER: Okay. Thank
6 you, Dan. I wonder if Patricia Jeske has any
7 comments.

8 MS. JESKE: Actually I do, and
9 this is news to Dr. McKeel and John Ramspott
10 as well, because I just found out this
11 morning. They are not sure about Affiliated
12 Metals being there. I have a brother-in-law
13 by the name of [identifying information
14 redacted] that worked there at that time. I
15 just got the information. And I don't know
16 what building he was in, but he would walk
17 through the tunnel just like my dad did at the
18 old Commonwealth. So it was on State Street,
19 and they had to wear gas masks and they could
20 not take them off until they were outside the
21 buildings. We don't know why, but we'll find
22 out. That's really all I have to say right

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 now. Thanks so much.

2 CHAIRMAN ZIEMER: Thank you. And,
3 John Ramspott, did you have any other
4 comments? Where's John? If you're
5 commenting, you're probably on mute. We're
6 not hearing you.

7 MR. RAMSPOTT: I'm sorry. Yes, I
8 was.

9 CHAIRMAN ZIEMER: Okay.

10 MR. RAMSPOTT: I was on mute.
11 This is John Ramspott. The cleanup
12 information that Dr. McKeel is referring to
13 came to me from various sources, some of them
14 known to this whole Board. One gentleman in
15 1978 worked at Michigan Metals just happened
16 to tell me this situation by pure accident at
17 an automobile dealership that I was at for
18 service. Found out that he worked at the old
19 Commonwealth or GSI plant in 1978-81. And he
20 was actually one of the cleanup people, power
21 hose guys or the water blasting operation. He
22 personally did it, and he is definitely

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 available for an interview. He has no claim,
2 no connection to this program until I happened
3 to meet him a month or so ago.

4 And one of the issues he brought
5 up was he did know another gentleman that did
6 it there and that gentleman happened to be the
7 son of the man we all know was the last
8 employee at GSI who had told us this story.
9 Because if we check transcripts I'm sure I
10 said something about power washing in that
11 betatron building probably four or five years
12 ago. So this is not new news. This is just
13 now totally again verified news.

14 The second cleanup that Dr. McKeel
15 was talking about in the new and old betatron,
16 after I'd heard the story from this guy, I
17 recalled that an individual, of course known
18 to us again -- he was a Dow worker who then
19 went to school at Granite City to be retrained
20 as the result of a work reorganization at Dow.

21 While he was there getting ready to do the
22 wiring, actually had to shut down that wiring

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the first day and had the building totally
2 power washed, cleaned. And he's known to
3 everybody, too. And I'll be glad to share
4 those names off-line. I know you don't like
5 to have them now. But that's absolutely no
6 problem.

7 So there's three totally different
8 people from different directions all telling
9 the same story and at different times. And
10 what's really important about the times, these
11 are all prior to the FUSRAP cleanup. So what
12 FUSRAP walked in and saw was definitely 100
13 percent not what was there during the contract
14 period and the residual period.

15 And if I recall correctly, at our
16 last meeting, and I think it was Dr. Ziemer
17 along with others that pretty much agreed, I
18 think Mr. Neton, you can't separate the
19 contract period from the residual period when
20 it comes to certain things. You just can't
21 separate them when you're going to try and
22 talk about surrogate and slug usage.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 So these cleanups all have to do
2 with the contract period as well as the -- you
3 know, we're talking about a little shop vac
4 vacuum with some residual in it and trying to
5 use that as the basis. Something that dawned
6 on me yesterday, we don't even know when that
7 vacuum was put in there. We don't know if
8 Michigan Metals put it in there. Did
9 Affiliated put it in there? Who put that
10 vacuum in there? There's no mention of it in
11 the GSI auction listing in '74.

12 Now, I'm not saying there wasn't
13 probably some sort of cleaning mechanism in
14 there before because GSI workers told me how
15 they just about slipped and broke their neck
16 on little pellets and BBs and dust in the
17 betatron building. So we don't have good
18 information on the maybe vacuum sweeper. So,
19 you know, that's just -- this cleanup thing
20 really concerns me. And it's all unprompted
21 from individuals from totally different walks
22 of life. Thank you for your interest.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 CHAIRMAN ZIEMER: Okay. Thanks,
2 John, for your input on that.

3 Okay. Now, Board Members, we need
4 to now consider some alternatives as well. We
5 did sort of commit to SC&A that we would
6 listen to some ideas that emerged out of their
7 initial study. And I do want to go on record
8 as pointing out that neither Ted nor I tasked
9 in advanced SC&A to come up with an alternate
10 model. That alternate model, we were informed
11 of that when they had completed their
12 preliminary review that they had considered
13 some other ways of looking at the surrogate
14 data issue. And in the process had -- I don't
15 know if you'd say developed, but at least
16 thought about an alternate way of doing
17 things.

18 They were never tasked to come up
19 with an alternate model. I just want to make
20 sure on the record that that's clear because I
21 think that there are some that think that
22 somehow we had tasked them to do that. And

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 this alternate model I don't think has been
2 fully developed, but it's an idea that
3 apparently emerged out of their analysis of
4 the surrogate data issue. And I don't know to
5 what extent it has even morphed from its
6 original version. It sounded like from what
7 John Mauro was saying earlier on the phone
8 that perhaps they're thinking of it more as a
9 different version of the surrogate data
10 approach.

11 But in any event, Bob, do you want
12 to kick this off and tell us what your
13 thinking was on that?

14 DR. ANIGSTEIN: Okay. Thank you,
15 Paul. Well said. Just what happened was as
16 we were reviewing, I was reviewing the
17 surrogate data as we were tasked to do, I
18 started thinking, it seems like there was some
19 -- there should be another way of approaching
20 this that would solve some of the problems
21 using some of the -- using all the information
22 we knew. There seemed to be something that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 was being overlooked. And the something that
2 was overlooked was the recently adopted
3 OTIB-70 which gives default assumptions --
4 recommends default assumptions regarding
5 resuspension rate -- is why we first looked at
6 it. And also about a decay rate, or a removal
7 rate, should be said, not to confuse it with
8 radioactive decay.

9 And they recommended a removal
10 rate. And the removal rate also has to be
11 consistent with the resuspension rate. So
12 here you have two numbers that are linked
13 together. And the fact that there was this
14 detailed -- because I don't believe there was
15 any drastic changes made in the old betatron.

16 It was well explained why there was no
17 residual contaminated powder in the new
18 betatron building because it had been cleaned
19 up prior to the FUSRAP. But the old betatron
20 building more than likely remained -- I mean,
21 if there was any cleanup, it would only --
22 right. It seemed to me -- what I'm giving you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 a preview was, we have found something that's
2 internally consistent.

3 So the -- oh, I'm sorry. Wrong
4 slide. Okay. So here's a little picture I
5 found. I didn't create it entirely. I
6 modified it somewhat. Here's what happens in
7 the typical -- with this -- this whole thing,
8 it's very easy to talk about resuspension
9 factor, re- deposition. What does it really
10 mean?

11 So here you have a little house, a
12 cartoon of a house and you have something
13 coming in from the outside. Doesn't matter
14 what it is. So it comes in by infiltration
15 through the walls, tracking, which is really
16 not relevant here. Might be somebody
17 literally picks it up on their feet and tracks
18 it in like somebody tracking mud into the
19 house. So here's this contaminant. Now also
20 there may be some coming from outside. There
21 may be some generation which is really
22 relevant here.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Some material is being -- airborne
2 material is being generated. And this stuff
3 gradually falls by deposition. And then you
4 have resuspension, which is two-way actually.

5 I added the other arrow to show it's going
6 down and it's coming up again. Under
7 equilibrium and absent anything else, these
8 two would be the same. And then you have
9 cleaning, ordinary housekeeping and
10 exfiltration. You have a little bit on the
11 person coming in. So this is how any material
12 can accumulate inside the structure.

13 And to model it, we first go back
14 and look at what comes in. Well, here are the
15 uranium handling times based on the
16 Mallinckrodt purchase orders. This is similar
17 to what you find in Appendix BB, except maybe
18 a couple of changes. They made an assumption
19 that one of the later periods was -- they
20 extrapolated one of the later periods back to
21 the beginning. Since there are no purchase
22 orders from 1953 until end of February 1958,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 the conservative assumption is to assume that
2 it's the highest rate of any of the years for
3 which we do have purchase orders.

4 We take that the handling -- we
5 just take the number of hours in this -- any
6 one of these periods and take the number of
7 hours that Mallinckrodt was paying for.
8 Divide one by the other and you get a
9 percentage. So it ranks a maximum of almost 5
10 percent and a minimum of 0.15 percent at the
11 very end when there wasn't much going on.

12 And here's the mathematical
13 formulation. I've just -- it can be -- it's
14 not as -- it's really simpler than it looks.
15 This is simply the rate of change. This is a
16 generic equation. This is the rate of change
17 of the contamination level on the floor. And
18 this is -- and there is some removal fraction;
19 I called it the Greek letter mu, which is
20 proportional to the rate of -- to what is on
21 the floor, that some fraction is being
22 removed.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 And then there's a deposition that
2 is a constant hourly rate or daily rate, just
3 to keep the units consistent, which we don't
4 know yet, but multiplied by the fraction of
5 time. Well, the fraction of time is simply
6 these fractions that are here for each time
7 period. So this is different. So this is the
8 sigma sub i. There's a number of time
9 periods. Basically these 3, 6, 9, 11 time
10 periods. So it's different for each time
11 period, but we model each one separately.

12 And this is the removal rate of
13 6.7 times 10 to the minus 4 per day in OTIB-70
14 that's recommended as the default removal
15 rate, and it's based on several places where
16 these measurements were made. And I don't
17 have it in front of me, but they don't span
18 that big a range. It's a pretty robust number
19 because the numbers maybe change by a factor
20 of two between the highest and the lowest.
21 I'm just guessing now by memory.

22 So then when we do the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 mathematical manipulation of this to solve the
2 equation, you come up with an expression for
3 the contamination due to each of these time
4 periods. Now so they're modeled separately
5 and then we add them together. And this is
6 the actual surface activity on the floor at
7 any given time due to summing the contribution
8 from all of these individual time periods.

9 Now you notice I said nothing here
10 about how many -- or what is -- what fraction
11 of the time it's actually being handled.
12 Because of this here, we know -- this is the
13 fraction of all -- this is the total handling,
14 and NIOSH assumed 50 percent. We don't need
15 to know that because we do know that it's
16 simply -- this is how it varies from one year
17 to another, which is all you really need to
18 know for the purpose of this model.

19 Then you need some real data.
20 Okay. This is the drawing of the old betatron
21 building. And they made measurements, two
22 sets of measurements. The red -- I'm just

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 giving for matter of interest. This is the
2 biased sample. This is where they went with a
3 meter and said, wait a second, there's a hot
4 spot here. And then they take their detector
5 that will measure the alpha activity and make
6 a measurement at that spot. So these are
7 biased samples. They're deliberately looking
8 for the high spots.

9 Then separately from that they
10 took an unbiased. There is a procedure called
11 MARSSIM. It stands for manual --
12 unfortunately I can't remember the exact
13 acronym. It's a basic guide used by all the
14 government agencies that contributed. NRC,
15 DOE, EPA contributed to it. When you go in
16 and you want to clean up a facility, how do
17 you sample to see what the average activity
18 level is? And there is a way of selecting
19 locations. And these are the blue. These are
20 the randomly selected locations that are
21 designed to give you a cross-section, a
22 representative picture.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 You can't sample each and every
2 spot, because we're talking about something
3 with about three -- a little disc about
4 three-and- a-half-inch radius. And based on
5 these random samples, most of them albeit were
6 below minimum detectable activity. Minimum
7 detectable activity was assumed -- was 50
8 dpm/100 cm². The reason they use 100 square
9 centimeters is because that happens to be the
10 active area of the detector, 100 square
11 centimeters. So it's how many dpm on a
12 detector.

13 MEMBER BEACH: Bob?

14 DR. ANIGSTEIN: So by standard
15 procedure we assume that it's half.

16 MEMBER BEACH: Excuse me.

17 DR. ANIGSTEIN: Yes?

18 MEMBER BEACH: Would you remind
19 what date those samples were taken?

20 DR. ANIGSTEIN: Yes, these
21 measurements were made in I believe June 1993.

22 That's by definition the end of the residual

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 period because that's when they cleaned it up.

2 MEMBER BEACH: Thank you.

3 DR. ANIGSTEIN: However, they did
4 get a number of real measurements. So if we
5 take the MDAs and say, well, 50 is the least
6 they could detect, so we'll just assume that
7 it's half that; it's a pretty standard
8 procedure, and we assign it to 25 dpm/100 cm²,
9 then I convert it here to becquerels per
10 square meter to be consistent with the model,
11 it comes out to 43.6. You know, most of them
12 were based on if we just took the ones where
13 we had meaningful data, it would not be a very
14 robust model.

15 So taking that, we can actually
16 calculate the hourly rate of accumulation
17 during the period of uranium handling
18 operation during the intervals. And it comes
19 out to -- knowing what this term is solving
20 the equations, that it was June 7th, 1993; to
21 answer your question, Josie, we find that the
22 average -- that the measured was 43.6

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 becquerel per square meter. We find a
2 deposition rate of about 1,200 becquerel per
3 square meter per day. We prorated to a day.
4 The actual operations take less than a day.
5 So you could divide by 24 and have an hourly
6 rate.

7 And so now we know the rate at
8 which it had to be deposited. And the only
9 two things that go into this, the only two
10 assumptions is that removal rate of 6.7 times
11 10 to the minus 4 per day; that's one datum,
12 and the other one is the 43.6 average activity
13 at the end of the residual period. And with
14 these two things you say this had to be, given
15 the pattern of activity -- so much in one
16 year, so much in another year, increasing,
17 decreasing, all of these add up to a single
18 number.

19 And now with this number, we can
20 say what would be in the air due to
21 resuspension. Well, we know that 1 times 10
22 to the minus 5 is a good resuspension factor.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 There is a huge body of literature on
2 resuspension factors. They vary a great deal.
3 Ten to the minus six, which was used by
4 NIOSH, was adopted by NRC for a facility that
5 has already been cleaned up. It's a
6 decommissioned facility that has been cleaned
7 up to the extent practicable using the ALARA,
8 as low as reasonably achievable, and they say
9 that after it's been cleaned there's still
10 going to be some residual on the floor and
11 there will be some possibility of
12 resuspension. And they picked 10 to the minus
13 6 as a good number.

14 But that's something -- the
15 concept is important. There is very little
16 resuspend- able material left. It's all,
17 like, hardened. Everything that's easily
18 resuspend-able -- because also the same could
19 be swept up, vacuumed, washed off. So that's
20 a number -- that's for an inactive facility.
21 A facility where the stuff is being deposited
22 every day or every few days, that's not a good

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 value.

2 So 10 to the minus 5 seemed like a
3 good compromise value, because, true, now some
4 of the activity will be old because it's
5 depositing year by year and there's some
6 removal -- some unspecified removal mechanism.

7 So it seems like a good, reasonable number.
8 And I'll go a little further and demonstrate
9 why it's a good -- it's not just our opinion.

10 And then there is a second source
11 of activity, which is of course what happens
12 -- this takes place all the time, you know,
13 every day of the year. This takes place only
14 during the uranium handling period. And now
15 that we know what we just derived are the rate
16 of the accumulation, you just divide by the
17 velocity, this average velocity of 10 to the
18 minus -- 7.5 times 10 to the minus 4 and you
19 can calculate what would be the activity due
20 to the uranium handling. So during this time
21 the actual activity in the area is the sum of
22 these two. But in between the uranium

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 handling, you get only this.

2 And then finally, what do we end
3 up -- what's -- basically what's the bottom
4 line? What is the intake? Well, we find that
5 year by year -- we just did this in case --
6 just to show that this can be used for dose
7 reconstruction. At the very beginning, at the
8 first year there's very little resuspension
9 because nothing has accumulated yet, not very
10 much. So all the activity, almost all the
11 activity is due to uranium handling as year
12 after year, it accumulates on the floor. And
13 now the resuspension becomes a bigger factor
14 up until you get to about 1963 where it's the
15 dominant factor because there is much less
16 handling.

17 And so how we come up against
18 NIOSH, here is Appendix BB, the total dpm per
19 calendar day, and we come up with more than 10
20 times that during the very busy time up
21 through about 1963. And then we start falling
22 off. And then during the far part of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 residual period -- in the original report,
2 it's tabulated every year. I condensed it
3 here so it fits into one slide. So you start
4 -- you end up by 1988 -- we actually end up
5 with lower simply because NIOSH does not have
6 this decline. They have it constant and we
7 have the decreasing year by year.

8 Now the -- why does this make --
9 why is this plausible? First we compare what
10 would be the derived, that is before the --
11 during the actually handling operation? We
12 calculate 11 -- by the way, we -- excuse me.
13 Forget that. So we have 1,100 dpm per cubic
14 meter. How does this compare with the
15 measured value? Well, it's less than the
16 unloading from the truck at Adley.

17 But if you just take these three
18 values and take a geometric mean, that makes
19 sense because it's -- you know, when they're
20 so different, it makes more sense to do a
21 geometric mean rather than an arithmetic mean,
22 563, well, within a factor of 2. For the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 model starting out from that, not bad. And
2 it's not that different, by the way, from the
3 slug stamping operation, which also is
4 somewhere around 560. So we're within the
5 right ballpark.

6 Then next: a verification. This
7 is not to -- this is only a verification
8 calculation. What kind of an air exchange
9 would you need if you were to assume a
10 resuspension factor of 10 to the minus 5 and
11 if you were to use the fractional removal rate
12 of 6.7 times 10 to the minus 4 per day, and
13 you were to assume no other removal; no
14 cleaning, no washing, that the only removal
15 was that the dust accumulation on the floor
16 gets suspended in the air and the building
17 ventilation takes it out? And you would get
18 -- you would need an air exchange rate of
19 approximately one-quarter of the volume per
20 hour.

21 For a large building that's not a
22 bad estimate because the larger the building,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 typically the lower the air exchange rate is
2 simply because the air exchange rate depends
3 on the wall area; the windows, the roof, the
4 wall area. Now the surface -- the ratio of
5 the surface to volume gets small with large
6 buildings. So therefore, for a very large
7 building, less than one-quarter of an exchange
8 per hour is not unreasonable. A more common
9 one is one per hour, but it would be for a
10 smaller building. There have been buildings
11 where as little as one-tenth of a volume per
12 hour has been measured. Actual measurements.

13 So this looks -- all we can say
14 is, you know, are these numbers -- you know,
15 I'm shooting myself in the foot now, you know,
16 are these numbers exact? No. It's not
17 possible to have an exact number, but these
18 are plausible upper bounds. And they're based
19 on documented data, so it's not just something
20 we like this -- we pull this number up out of
21 a hat because we like it.

22 And we think that this is a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 reasonable way of approaching the problem
2 which would give -- which would be bounding
3 and yet not implausible. It gives you -- say
4 this 1100 dpm per cubic meter for natural
5 uranium corresponds -- I did the calculation
6 -- to less than a milligram per cubic meter.
7 That is not an unreasonable dose concentration
8 for indoor air. They're on the order of
9 micrograms up into the hundreds. This is
10 already in the high end. It's not -- it
11 doesn't get to the point where we had like
12 with the Bethlehem Steel. I know we actually
13 did calculations. It gets to a point you
14 can't even see across the room it would be so
15 thick.

16 So I'm just suggesting that this
17 is a plausible model which is not dependent
18 except for the air exchange, for the removal
19 rate is not dependent on external
20 calculations. That's it.

21 CHAIRMAN ZIEMER: Bob, what is the
22 implications of the cleaning that Dr. McKeel

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 mentioned on this particular --

2 DR. ANIGSTEIN: I don't believe
3 it's on the -- I believe they were referring
4 to the new building, to the new betatron
5 building. All of that -- I read over the
6 material.

7 CHAIRMAN ZIEMER: I thought that
8 they were all cleaned. Is that not correct?

9 MR. RAMSPOTT: Dr. Ziemer?

10 CHAIRMAN ZIEMER: Yes.

11 MR. RAMSPOTT: This is John
12 Ramspott. Since I'm kind of the cleaning
13 expert; the gentleman told me I could use his
14 name, [identifying information redacted] from
15 Dow was there in '84 and saw the cleaning of
16 the old betatron building. He was also there
17 in the same time frame and saw the cleaning of
18 the new betatron building. The old
19 betatron building, in looking -- well, Dr.
20 Anigstein, his drawings up there, if you look
21 at the one with the red dots, blue dots, it's
22 pretty interesting. Take a look at that, if

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 you would. That's from the cleanup material,
2 the FUSRAP cleanup material. If you notice
3 that berm that's shown on there --

4 CHAIRMAN ZIEMER: Yes.

5 MR. RAMSPOTT: -- that wasn't
6 there during the GSI dates. That came in
7 after the fact, after that plant closed
8 because they stored leaky electronic
9 transformers in there. That's in the FUSRAP
10 report. I kind of find it amazing there's
11 nothing in there. Well, if I was there in '93
12 and doing a cleanup for FUSRAP, I probably
13 wouldn't want to climb in that
14 PCB-contaminated oil that they built. And the
15 berm was about an 18-inch wall. We have
16 pictures of it from a DOE cleanup, some really
17 good color photographs that was provided to
18 myself and Dr. McKeel from the Department of
19 Energy. That area, 25 percent of the shooting
20 vault area, and it's not touched. No one's
21 looked at it.

22 Then the other series of red dots

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 over in the right-hand corner, I think from
2 the FUSRAP drawings that's where the vacuum
3 cleaner was. I kind of find it amazing that
4 there's nothing in between that and the berm.

5 That's where the guys worked. That berm is
6 right in the work space. That's where
7 according to FOIA drawings a lot of work was
8 done. If they had a source, that's where they
9 worked. That's where the betatron crane would
10 hang. And there's nothing there. I find it
11 kind of unusual because they wouldn't be
12 examining those dingots on top of the vacuum
13 sweeper. I guarantee you that.

14 And then the other series of red
15 dots on the railroad tracks, I find that kind
16 of amazing too because the betatron doesn't go
17 there. Those red dots got there somehow. And
18 more amazing is they're in between the control
19 room and the vault and the control room is
20 shown as totally clean. Now if the guys
21 walked through those red dots, I mean, every
22 day, every moment into the control room, you'd

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 think there would be something in the control
2 room.

3 Now that building definitely,
4 according to [identifying information
5 redacted], was cleaned. And we had heard the
6 story about the power cleaning from another
7 gentleman, [identifying information
8 redacted], [identifying information redacted]
9 is his nickname, who was the last guy at GSI.

10 It was his son who did that cleaning with
11 this other individual I happened to meet at
12 the car dealer.

13 So that building -- Dr. Anigstein,
14 that building definitely was, according to
15 [identifying information redacted], cleaned
16 as well. And he explained the cleaning.
17 [identifying information redacted] said they
18 cut power to all the buildings. [identifying
19 information redacted] was an electrician.
20 They cut the power completely so they could
21 squirt or power blast the roof, the walls --
22 or the ceiling, the walls, the floors. And

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 that -- now there was a major, major
2 disheveling of the interior of that building.

3

4 And also from FUSRAP they show two
5 betatrons sitting on the floor of that
6 building. Those things weigh 4,000 pounds
7 apiece. You don't just flip them around. I'm
8 sure the second one that was in there came
9 from the betatron building. We know that now.

10 But there was only betatron in this old
11 betatron building originally. You'd have to
12 bring that in with a forklift, high lift,
13 something. That floor had been -- that floor
14 was definitely not what it was when GSI
15 workers were working there during the contract
16 period and the residual period. That changes
17 everything.

18 CHAIRMAN ZIEMER: Right.

19 MR. RAMSPOTT: Because this whole
20 alternative is somehow being based on 1993
21 samples. That's a little late. So I
22 appreciate it. I'm open to any questions.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 And all of these people I'm talking about are
2 willing to be interviewed. Thank you.

3 CHAIRMAN ZIEMER: Okay. Thanks,
4 John. My understanding of this drawing is
5 that these are the locations where they
6 sampled. This is not necessarily where they
7 found activity.

8 DR. ANIGSTEIN: No, the red ones
9 --

10 CHAIRMAN ZIEMER: The red is a
11 biased sample, which means they didn't select
12 the location randomly. They selected it
13 intentionally.

14 DR. ANIGSTEIN: Right. No, the
15 red -- my understanding with the red ones,
16 they went around with an alpha-beta -- with a
17 beta- gamma meter --

18 CHAIRMAN ZIEMER: Okay.

19 DR. ANIGSTEIN: -- rapidly
20 surveying. And where it chirped, then they
21 would get out the --

22 CHAIRMAN ZIEMER: Oh, I got you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. ANIGSTEIN: -- detector and do
2 it and take a reading.

3 CHAIRMAN ZIEMER: Got you. Okay.

4 MR. RAMSPOTT: Dr. Ziemer?

5 CHAIRMAN ZIEMER: Yes?

6 MR. RAMSPOTT: There is another
7 drawing in the cleanup report that really
8 clearly shows the same red dots as being hot
9 areas that had to be cleaned. And I might add
10 that when we visited the site, Dr. McKeel and
11 myself and some workers with the new owner who
12 let us go in there and photograph it, those
13 are parts of the floor that are definitely
14 scarred. I mean, there was -- I assumed there
15 had to be dust there, but some of that was so
16 ground in they actually used a -- I think they
17 called it scalping.

18 CHAIRMAN ZIEMER: Yes. Yes.

19 MR. RAMSPOTT: You could see the
20 gouges.

21 CHAIRMAN ZIEMER: Got you. Yes.

22 DR. ANIGSTEIN: Let me --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRMAN ZIEMER: Yes, I see them.
2 Yes. Thanks. Appreciate that clarification.

3 DR. ANIGSTEIN: John? Let me
4 correct something, John.

5 MR. RAMSPOTT: Sure.

6 DR. ANIGSTEIN: John Ramspott.
7 The red dot -- you're going to see the red
8 dots there. I put the red dots there, the red
9 and blue dots, to correspond to the readings
10 on the table, that if you look on the next --
11 my -- you know, on another page where it has
12 -- you have the original report. You don't
13 have this one. The alpha activity
14 concentration, you see sample locations north
15 and east. So those are the coordinates of the
16 locations where they made the measurements.
17 And I simply plotted those coordinates on
18 here. So this is a --

19 MR. RAMSPOTT: Ah, okay. I see.

20 DR. ANIGSTEIN: This is a
21 composite.

22 MR. RAMSPOTT: Yes, I saw -- the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 drawing is definitely in the cleanup report.

2 DR. ANIGSTEIN: I took the --
3 that's where I got it from.

4 MR. RAMSPOTT: Does that mean
5 there's also a drawing just like this that
6 shows the actual sites, not just numeric?

7 DR. ANIGSTEIN: Yes, there was
8 harder -- but they were much harder to
9 interpret, so I recalculated them.

10 MR. RAMSPOTT: The other one is
11 more exact, I understand that, but the fact is
12 the material is where your red dots are and
13 the material is where the uranium was on the
14 drawing that's in the cleanup.

15 DR. ANIGSTEIN: Right.

16 MR. RAMSPOTT: Okay.

17 DR. ANIGSTEIN: Yes.

18 CHAIRMAN ZIEMER: Okay. Thanks
19 for clarifying that.

20 Okay. Questions?

21 DR. McKEEL: Dr. Ziemer?

22 CHAIRMAN ZIEMER: Oh, yes?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. McKEEL: This is Dan McKeel.

2 CHAIRMAN ZIEMER: Oh, yes, Dan.
3 Go ahead.

4 DR. McKEEL: Could I just quickly
5 say one sentence?

6 CHAIRMAN ZIEMER: Yes.

7 DR. McKEEL: So one thing that I
8 need to emphasize, I listened to that very
9 nice exposition by Dr. Anigstein of his
10 alternate model, but my comment is that the
11 SEC recommendation that the Work Group and the
12 full Board must make, it is really based
13 entirely on what NIOSH can bound with
14 sufficient accuracy.

15 So with all due respect, NIOSH and
16 Dave Allen have already said in their response
17 paper that they do not accept the SC&A
18 alternate model and will not use it. And all
19 NIOSH can recommend is that they will take the
20 three additional sites, the two slug
21 facilities and the billet facility, more
22 surrogate data and make some kind of an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 adjustment to a revised Appendix BB.

2 And so really the bottom line is
3 that -- and I hope you all will consider is
4 that NIOSH will not accept the SC&A alternate
5 model, however elegant it may be. And what
6 the Board and the Work Group has to
7 concentrate on is what can NIOSH do. And
8 that's the sole criteria for making a
9 recommendation about SEC 00105.

10 MR. KATZ: Well, Dan --

11 DR. McKEEL: Thank you very much.

12 MR. KATZ: Dan? Thanks, Dan. Let
13 me clarify. That is actually not the Board's
14 charge under the regulations, which is the
15 Board's charge is to determine whether doses
16 can be estimated with sufficient accuracy.
17 There's no qualifier such as you're suggesting
18 as to whether NIOSH's method is applied or any
19 other method is applied. But the Board's
20 charge is whether doses can be reconstructed
21 with sufficient accuracy, end of statement.

22 DR. McKEEL: This is Dan McKeel.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 I have to respond to that. We can't complete
2 this argument, but I could not disagree more
3 completely with what Mr. Katz just said and I
4 think that it is very well understood that the
5 role of the Board and the role of SC&A is to
6 evaluate NIOSH's methodology.

7 MR. KATZ: Dan, I'm speaking from
8 the regulations. We don't need to continue
9 this discussion. But these are what the
10 regulations specify and lay out for the Board.

11 CHAIRMAN ZIEMER: Okay. We're not
12 going to discuss the regulations today. I
13 think certainly we have to respond to NIOSH's
14 proposal, and one of the things Board does is
15 in fact indicate whether they agree or
16 disagree. And we need to find out actually
17 what NIOSH's approach will be. I mean, one of
18 the reasons we meet is to hear each other's
19 ideas. And historically in all of the sites,
20 we try to come to some point of -- where we
21 can agree, we'll agree. If we can't, we
22 disagree. But, and I don't know if we're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 there yet, but I don't think it's the
2 petitioner's position to have to say what
3 NIOSH will do. NIOSH will have to state what
4 they will do.

5 And so, Josie, you have a comment?

6 MEMBER BEACH: And just an
7 addition to that, because I know Dave's going
8 to speak here. I was wondering if you're
9 going to use this new information on the
10 facility cleanup, or are you going to consider
11 it, and how?

12 MR. ALLEN: Well, right now the
13 position I have in that White Paper was to
14 essentially say the 198 dpm per cubic meter we
15 used in Appendix BB is bounding. I tried to
16 justify it by the surrogate data criteria and
17 come up with a few other data points from
18 other sites to point out that it is indeed a
19 bounding value.

20 We have not, despite what was said
21 here, completely dismissed Bob Anigstein's
22 model as a -- you know, a showstopper, but I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 do think there's other sources of uncertainty
2 in that model such as the cleanup which was
3 pointed out which changes that depletion rate,
4 not to mention the heterogeneity of the
5 contamination after you do that cleanup.

6 And I know he didn't use the
7 biased samples. He used the random samples to
8 try to avoid that, but I think there's still a
9 lot of heterogeneity in cracks and crevices,
10 expansion joints, railroad tracks, you know,
11 et cetera, where power washing can drop all
12 that in there and virtually fix it in there to
13 where it doesn't change over a number of
14 years.

15 So currently I believe the
16 surrogate data is a better approach, a more
17 accurate approach. And I think the data that
18 we've pulled up from the other sites that is
19 limited, points to the idea that the numbers
20 we are using are actually very conservative.

21 And my intent at this point, my
22 true intent at this point is to see what the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Work Group feels about this, you know? But my
2 recommendation at this point is we use the
3 same number that's in Appendix BB, the 198 dpm
4 per cubic meter. There may be some
5 adjustments if we want to discuss as far as
6 how that it is used in a model, but as John
7 Ramspott -- or, I'm sorry, as John Mauro said,
8 the question is the starting point right now.

9 And then the other items we're
10 talking about are the mechanics that are
11 essentially -- you know, one's an SEC issue.
12 And after that you're into the TBD issue part
13 of it. And I don't think we've gotten really
14 any feedback from the Work Group yet as to the
15 starting point and whether it's worth pursuing
16 the mechanics of it. Did that make any sense?

17 CHAIRMAN ZIEMER: Also, I just
18 want to emphasize that whatever the Work Group
19 does is simply recommendation, but the Board
20 could go in another direction. So the Work
21 Group doesn't speak for the Board
22 specifically. Part of our function is to get

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 the parties together and talk about the issue
2 so we can in part see if there is some level
3 of common ground. I don't know that -- you
4 know, what we say is not the final word on
5 this. Certainly the Board will listen to the
6 recommendation of the Work Group, but the
7 Board is always independent of the Work Group
8 in a sense and will make its own judgment.

9 But to the extent that we're able
10 to find some common ground I think is always
11 helpful to the Board, and that in part is why
12 we want to look at some possibilities here. I
13 think that, you know, the Board has the option
14 of saying we'll go with an SEC for both
15 periods, or we'll go with an SEC for one and
16 not the other, or we'll go for dose
17 reconstruction for both. There's a lot of
18 possibilities here.

19 But to the extent to which NIOSH
20 and SC&A have some level of agreement -- and
21 they certainly don't have to agree, but that
22 also sometimes helps. And of course the -- if

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the -- and I don't think it's necessary for
2 the Work Group members to necessarily agree.
3 We can have -- we see this in different ways,
4 and so on.

5 So what we want to be able to do
6 though is to make sure that we can present
7 clearly to the Board what the issues are. If
8 there's disagreement, why it's there and what
9 the options are.

10 Now, Bob, do you have a comment?
11 Or, Jim, I don't know if this sort of hits --

12 DR. ANIGSTEIN: I have a couple of
13 comments.

14 CHAIRMAN ZIEMER: I don't want to
15 put you on the spot, but I'd sort of like to
16 hear from you sort of independent of Dave in
17 terms of whether you think NIOSH would be in a
18 position to utilize some of the ideas that
19 have been brought forth by SC&A and either
20 incorporating them or if you feel that they're
21 not useful, or we need -- I think it would be
22 helpful to know that as well.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Bob?

2 DR. ANIGSTEIN: Yes, I've got an
3 observation to make about the most recent
4 development, and that is it's been five years
5 now since SC&A, and on some occasions joined
6 by NIOSH, has been interviewing mostly former
7 GSI workers. One case a site expert was a
8 contractor who worked on the GSI site. These
9 were facilitated by John Ramspott, for which I
10 -- to whom I'm quite grateful, because
11 otherwise I would never have been able to have
12 the kind of information about this site that I
13 have.

14 Even though this model is
15 something we came up with just recently,
16 nevertheless there was mention of the cleanup.

17 As a matter of fact, in Appendix BB, there is
18 a reference to measurements made in the old
19 betatron building, slightly earlier in 1989,
20 when it was first considered for FUSRAP
21 cleanup. And it's even -- the measurement was
22 cited as validation of the values that were

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 derived by NIOSH because it was I believe
2 something like -- 1100 was the dpm per for 100
3 square centimeters was the -- or I -- there
4 was -- I don't want to start quoting numbers.

5 I'm probably getting the units wrong. But
6 there was a value that was used by NIOSH and
7 they said, look, years later the highest value
8 was about half that value, so that shows that
9 this was a good assumption. And no one ever
10 challenged that. There was no mention made of
11 a cleanup.

12 Suddenly, after five years we're
13 discovering -- we're finding a new person who
14 has information on this and it seems like
15 there's been a lot of time. There was a time
16 when we would have had the opportunity; and
17 I'm sure we're taking the opportunity, to
18 interview these people on the telephone,
19 perhaps even in person, get a better picture.

20 Now we're getting a very last minute
21 second-hand information of quoting someone.
22 It seems a little late to be starting down

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 that path at this late stage.

2 And the earlier -- at the time I
3 developed this model, which was just a month
4 ago, six weeks ago, my only information was
5 that the new betatron building had been
6 cleaned up. And that was plausible because,
7 first of all, I know -- I already know that
8 when the Granite City Steel acquired the
9 property; not the business, but the property
10 of GSI, of the -- it was then called the -- it
11 had been formerly called the Commonwealth
12 Foundry, they converted the new betatron
13 building into an office space. Of course they
14 would have cleaned it up.

15 Whereas my understanding was that
16 the new -- the old betatron was left off by
17 itself. It was used -- that is correct. The
18 two -- the other betatron instrument was
19 brought in and it was just a storage. And I
20 -- we don't know whether it was cleaned up or
21 not. I'm really going to put it very bluntly.

22 It would take a lot of investigation to find

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 out. And it would seem odd that there would
2 be so much activity left if in fact there had
3 been such a cleanup when the new betatron
4 building was cleaned up, and they could not
5 detect any.

6 And these measurements were made
7 also to -- there was sort of an allegation of
8 competence there. These measurements were
9 made by the ORISE, the Oak Ridge Institute for
10 Science and Education, which has been taking
11 the lead on cleaning up and surveying --
12 actually they don't do the cleanup -- of
13 surveying. They perfected this MARSSIM
14 manual, which is the guide to all government
15 agencies for cleaning up radioactive sites.
16 And these were the -- they've given the
17 training. These are the most competent people
18 in the business, the most reputable, competent
19 people in the business.

20 And the picture of theirs, the
21 berm -- yes, the berm was -- it's well
22 acknowledged the berm -- obviously the berm

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 was added later and -- but it does not affect
2 the measurement on the other parts of the
3 floor, because the other parts of the floor --
4 each one of these was a measurement of dpm per
5 100 square centimeters. So you simply average
6 over whether some of the areas could not be
7 sampled. It's not 25 percent. It looks like
8 -- to my mind it's looking more like 10 or 15
9 percent, but that's a quibble. This looks
10 like reliable data. I rest my case.

11 CHAIRMAN ZIEMER: Okay. Thank
12 you.

13 MR. RAMSPOTT: Dr. Ziemer, may I
14 respond to that?

15 CHAIRMAN ZIEMER: Sure.

16 MR. RAMSPOTT: I'll keep it brief.

17 MR. KATZ: Yes, go ahead, John.

18 MR. RAMSPOTT: We invited
19 everybody to visit that site, just like we
20 did. And I'm sure more information would have
21 been found if those invitations had been
22 taken, but I know people are busy and it just

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 didn't work out.

2 But there was mention of power
3 washing, and I'm sure I can find it in the
4 transcripts from years past. And, you know, I
5 think -- maybe I'm wrong, but I thought the
6 law said if you find new information, you're
7 supposed to submit it. I think I've seen that
8 in the law. And that is what we're doing.

9 And I also think that I saw all
10 radiation must be considered in dose
11 reconstructions. Well, I think that also is
12 part of this argument, too. If there was a
13 cleaning and that material was moved and what
14 you're seeing now is what was there after that
15 was done, how much was there before it was
16 done? I mean, that's logical.

17 And I did look at those drawings.
18 They definitely are in the -- I'm looking at
19 it now. They're definitely in the FUSRAP
20 report and they show that material there.
21 And, you know, I've talked to people that are
22 familiar with concrete work. Now that berm,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 you don't just put a berm in there. You got
2 to clean the surface of the existing concrete
3 in order to put new concrete on it, especially
4 if you're going to hold oily matter, like
5 transformer oil, which is exactly what this
6 says. Transformer storage area. I'm looking
7 at the drawing now.

8 So I really can't agree. When you
9 bring in, I guess, whatever it took to build
10 that berm and you bring in another betatron
11 from a new betatron building, you go down that
12 walkway, those railroad tracks, you're going
13 to disturb something.

14 Now I respect -- or I guess the
15 Oak Ridge National Lab, but in reviewing the
16 cleanup documents again last night, if you
17 look in there -- and, Dr. Bob, I know you used
18 their drawing originally, too, they said there
19 was a huge door in the new betatron building.

20 And I'm just referring to the new betatron
21 building not as part of this argument or this
22 building. But they said the new betatron

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 building, the main door; that is their quote,
2 is to the left of the drawing or photograph
3 they have. And we all know now that hole was
4 knocked in the wall well after the contract
5 period.

6 And we also note from their
7 drawing there's -- they never even walked in
8 the 10 building. That's where the uranium had
9 to come in from. There was no other way to
10 get uranium into that building except through
11 10 building.

12 So I think they did a fair job,
13 but they were wrong. They weren't totally
14 accurate. They weren't totally complete.
15 With all due respect to them, if I was coming
16 in 40 years later, I might have missed it,
17 too, because they didn't have some site
18 experts and some people to talk to and some
19 workers. I guess I wonder why they didn't
20 talk to any workers. They just talked to
21 Granite City Steel management. If I'd had
22 Granite City management -- those people were

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 probably kids when all this was going on. So
2 I don't think they did such a good job. I
3 have to disagree with you.

4 But, you know, I respect what they
5 did. And I probably would have made the same
6 mistakes, but now it's time to correct it.
7 We've got people telling you the facts, you
8 know? So I'm sorry, that's just the
9 straight-up truth. Thanks a lot. I
10 appreciate the chance to comment.

11 CHAIRMAN ZIEMER: Thanks, John. I
12 want to give -- Jim, I'm kind of putting you
13 on the spot, but do you have any sort of
14 reflections on NIOSH's approach here in terms
15 of what you heard so far today?

16 DR. NETON: Well, I think Dave's
17 put together a pretty, I thought, compelling
18 argument that the exposures associated with
19 the movement of uranium, the sole activity of
20 the handling and movement of uranium
21 throughout a building is inherently -- is
22 pretty low. The values are low.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 I think the most compelling sample
2 is the one that was at LeBlond where they were
3 actually -- I think there were three BZ
4 samples where they hooked a hoist to the
5 billet and placed the billet into position on
6 the machine. And then they removed it from
7 the machine nine dpm per cubic meter. I think
8 that's consistent with Dave's experience, and
9 my experience has been working at a uranium
10 foundry.

11 And the other two instances he's
12 demonstrated that even though there were
13 ancillary activities going on in addition to
14 the movement, the values were still around
15 less than 200 dpm per cubic meter, which is
16 what we suggest.

17 There are other values out there
18 that SC&A have raised that talk about movement
19 of uranium where the much higher -- I think
20 they're worth looking at, although the value
21 of 3,000 I think is going to be rejected
22 almost based on being really high. I've

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 looked at some values while we were talking
2 and there are some air samples in Harris and
3 Kingsley where your chiseling billets, just
4 actively chiseling billets, and you get around
5 4,000 dpm per cubic meter. I just find it
6 implausible that you can generate fifty MAC
7 air by just moving rods. I mean, that's
8 higher than the values that were measured at
9 Bethlehem Steel during active rolling
10 operations in the 1951-52 period where they
11 were taking heated uranium, you know, and
12 moving and pushing it through machines. So I
13 find that value to be a little bit out of
14 range.

15 The 500 dpm ones, you know, I
16 don't know. Maybe, you know, that's worth
17 considering, I suppose, but I think we would
18 all -- I believe that somewhere in there, in
19 that range where we put -- Dave has suggested
20 or maybe looking at another value is a
21 bounding value. We know that movement of
22 uranium generates some dust. And I think the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 range is somewhere in those values, rejecting
2 the -- I would reject the 3,000 one as being
3 implausibly high.

4 I get -- SC&A hasn't said this,
5 but I get the sense that they also somehow
6 believe that it could be bounded in some way,
7 whether we pick a value that's a better
8 surrogate value or whether relying on their
9 model, they believe -- I think it's their
10 sense also that this activity can be bounded
11 using the data that we have available to us.

12 DR. MAURO: Jim, this is John.

13 DR. NETON: Yes?

14 DR. MAURO: I agree with that
15 statement.

16 DR. NETON: Okay. So I think both
17 SC&A and NIOSH agree that the value can be
18 bounded. It's how you come about it and
19 what's the appropriate exact value you use. I
20 sense that SC&A's position is that 200 may be
21 a little low for their comfort level. But
22 again, I think we're in a situation where we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 agree that it can be bounded somehow and the
2 exact value maybe can be debated to some
3 degree. But I think within a factor of two.
4 I mean, I don't know. I think 200 is
5 bounding, in my own opinion, but we're open
6 for discussion on other values.

7 CHAIRMAN ZIEMER: John, did you
8 want to expand on your comment there at all?
9 John Mauro.

10 DR. MAURO: Yes. You see, we went
11 through a process here which brings me to a
12 place I said, listen, you know, we look for
13 other starting points and we see a range of
14 them that are in many -- in some cases not
15 unreasonable as applied to the circumstances.

16 I for one feel the stamping of these slugs is
17 being not at all like the kinds of things. So
18 we are troubled by the starting point.

19 Now the interesting thing is
20 outcome. If you would -- let's say we'd start
21 with that 500 number that in our opinion is
22 really -- it's one number associated with the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 type of operation that really is not analogous
2 to what types of things that went on. So, you
3 know, we are troubled by that as a surrogate,
4 but there are others that are apparently --
5 certainly look better. And I agree with Jim,
6 going to 3,000 doesn't ring true given the
7 amount of information we have regarding the
8 airborne dust loading associated in all types
9 of operations.

10 So it seems to me that if I were
11 doing this, I would go with a different
12 surrogate that perhaps -- and not go with the
13 adjustments that were made and the way they
14 were made. But I think that we can pick one
15 that -- out of the data that now is available,
16 something we didn't look at before. It wasn't
17 until this process where we said, listen, can
18 we find some better surrogate for handling of
19 uranium? And it seems that we have some
20 numbers out there are better as a starting
21 point than the stamping process that -- for
22 these slugs. And I have to say that I was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 very pleased with the process that Bob went
2 through to say, okay, let's go backwards in
3 time.

4 Now of course John Ramspott now
5 brought up a point now, if he's correct.
6 Let's see there was a thorough cleaning of
7 this building before these measurements were
8 made. Well of course, then you got to throw
9 the model out. I mean, that's all there is to
10 it. You know, you can't avoid the argument
11 that, listen, if that's true that it had been
12 scoured, what do you do with that? I don't
13 know what you do with that.

14 But if it wasn't, then Bob's
15 approach leads you in a place that says,
16 listen, this is another way to come at the
17 problem that's reasonable. And it comes in at
18 a place which -- what's interesting to us is
19 that I think that there's a -- if you went
20 over and looked at it and looked at the
21 concentrations in air as a function of time,
22 you know, the numbers that we're seeing are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 compatible with these other numbers we've been
2 talking about.

3 So that's the reason I feel that
4 we're converging into a place. And I think we
5 can converge on a place that at least in my
6 mind is one that would place a plausible upper
7 bound on these exposure scenarios. So, yes,
8 that's the reason I agree with Jim.

9 CHAIRMAN ZIEMER: Okay. Thank
10 you.

11 DR. McKEEL: Dr. Ziemer, may I?

12 CHAIRMAN ZIEMER: Yes, is that --

13 DR. McKEEL: Dr. Ziemer, this is
14 Dan McKeel.

15 CHAIRMAN ZIEMER: Yes, Dan, go
16 ahead.

17 DR. McKEEL: I'm going to say
18 three short things about what I was just
19 thinking on. One is John Mauro just said that
20 if -- if it was true that there was a
21 heavy-duty power washing of the betatron
22 building in 1984, as [identifying information

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 redacted] said there was, then they would have
2 to throw the model out. And then we went on
3 to explain how you could use the model.

4 Well, I've got to speak for all
5 honest, truthful, well-intentioned GSI and
6 other workers in the entire nuclear weapons
7 workforce who tried to give the Board their
8 honest opinions on things. Dr. Anigstein
9 criticizes us for bringing this information
10 forward late in the game. Well, you know, you
11 could do the same thing and criticize him for
12 bringing the alternate model to everybody's
13 attention here at the very last minute as
14 well.

15 But I've got to say this:
16 [identifying information redacted] saw what
17 [identifying information redacted] saw with
18 his own eyes. That's not hearsay. That's not
19 a secondary thing. The Board has heard from
20 [identifying information redacted] before on
21 the Dow SEC and they can pick up the telephone
22 this afternoon and confirm what we just said.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 So the fact is, whether it's convenient or
2 not, the old betatron building was power
3 washed in 1984.

4 The second thing I can do, and I'm
5 sure either John will do it or I will do it
6 immediately after this is over, is we will
7 send you the proof photos which show GSI
8 workers that we know were there during the
9 operational and residual period and left in
10 1973 inside the old betatron building showing
11 the interior was painted with white paint,
12 which John assures me in those days was white
13 lead paint.

14 Now, for white lead paint to be 75
15 percent, 80 percent removed, then a power
16 washing has truly got to be what the name of
17 the company implies, power blasting. And John
18 Ramspott reminds me that these days; you know,
19 that's later than 1984, that power washing as
20 a technology in fact can be used to cut hard
21 materials. So this is like a laser blade -- a
22 laser beam that's cutting through things. And

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 it did demonstrably take off white lead paint
2 that was coating the betatron doors -- I mean,
3 the walls.

4 The other comment that I want to
5 make is that throughout this discussion the
6 comment that the only thing that happened to
7 the uranium, the only thing that we need to
8 consider is that this was, quote, cold uranium
9 metal. Well, nothing could be farther from
10 the truth. Because for half of its life at
11 GSI, that may be true. It was cold uranium
12 metal ingots, dingots, billets and betatron
13 slices.

14 However, the game changed
15 completely and set this site apart from all
16 other sites that are covered under EEOICPA in
17 that the sole purpose of bringing the uranium
18 to GSI was to irradiate it with a 24 to 25-MeV
19 betatron beam. And the petitioners have sent
20 this Board numerous articles from the
21 literature, peer-reviewed, well-respected
22 journals; they sent you another one actually,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 that shows that around 6 to 10 MeV betatrons
2 or linear particular accelerators operating in
3 X-ray mode can cause both fission and
4 activation of uranium, and do that. And they
5 convert a measurable portion. Yes, it's only
6 a few percent, but they convert uranium-238
7 mass into daughter products of fission and
8 activation.

9 And so for the latter half of its
10 life at GSI this was not cold uranium metal.
11 This was hot activated fissioned uranium
12 metal, and that fact and those doses need to
13 be factored into the dose reconstruction at
14 GSI. And I understand that in the technical
15 documents that have been produced so far that
16 activation dose, the fission dose have been
17 referred to -- this doesn't have the things
18 that we don't know about the uranium exposures
19 at GSI as trivial or insignificant. Well, all
20 I can say to that is, in scientific terms,
21 that's really not acceptable reasoning.
22 OCAS-IG-003 and everybody's interpretation of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 the Act says that during the operational
2 period, you have to count all doses. So you
3 just have to.

4 And it's wrong today to talk about
5 uranium metal as being cold uranium metal.
6 That's just not the truth except for 50
7 percent of the time it was at GSI. The rest
8 of the time it was quite hot. And to say that
9 these doses -- try to dismiss them, which I
10 hope nobody will do, as being insignificant,
11 inconsequential, under the Act, they're highly
12 consequential and they must be accounted for.

13 And they must be accounted for by someone
14 with sufficient accuracy, and I don't think
15 the models that we've been hearing about today
16 do that at all. So thank you very much.

17 CHAIRMAN ZIEMER: Dan, I just want
18 to emphasize one point: when we talk about hot
19 metal, we're not -- we're talking about
20 thermally hot, which is a very different
21 condition from the sort of jargon that nuclear
22 people use, that is something being

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 radioactive as being hot. It's not thermally
2 hot.

3 DR. McKEEL: I understand this --

4 CHAIRMAN ZIEMER: Well --

5 DR. McKEEL: -- and you have
6 criticized me for such semantics --

7 CHAIRMAN ZIEMER: Well, it's --

8 DR. McKEEL: -- problems, but I'm
9 telling you --

10 CHAIRMAN ZIEMER: It's not hot --

11 DR. McKEEL: -- let's take the
12 word hot out of there.

13 CHAIRMAN ZIEMER: Well --

14 DR. McKEEL: Let's say that this
15 has been -- the uranium has been previously
16 fissioned. I don't think you could disagree
17 with that.

18 CHAIRMAN ZIEMER: No. No.

19 DR. McKEEL: And it's been subject
20 to betatron activation.

21 CHAIRMAN ZIEMER: Right.

22 DR. McKEEL: And that both of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 those products generate new daughter products
2 which are radioactive. And I don't think you
3 could argue with that point.

4 CHAIRMAN ZIEMER: No, and we've
5 agreed to that and --

6 DR. McKEEL: Okay.

7 CHAIRMAN ZIEMER: -- NIOSH has
8 calculated those activities and the dose rates
9 from them. It's in the external dose model,
10 so they have accounted for that, and the
11 internals as well.

12 Okay. We're going to take a break
13 for lunch. You all have a lot to ponder over
14 the next hour while we eat. And then we'll
15 come back and try to move towards some sort of
16 closure on these activities.

17 MR. RAMSPOTT: Dr. Ziemer?

18 CHAIRMAN ZIEMER: Yes?

19 MR. RAMSPOTT: I mean during your
20 break --

21 CHAIRMAN ZIEMER: Yes?

22 MR. RAMSPOTT: -- I would actually

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 -- that word if really bothers me. I would --
2 about the power washing of the old betatron.
3 That word if is a big word. If you guys would
4 like, and you would allow it, I'd actually try
5 to call [identifying information redacted] at
6 home and ask him to call in on this meeting
7 and you can hear it right from the individual.

8 CHAIRMAN ZIEMER: Well, I'm not
9 personally disputing the -- I don't believe
10 that's necessary. I'm not disputing the
11 testimony that --

12 MR. RAMSPOTT: Excuse me, I'm just
13 the carrier of the messages from the men.

14 CHAIRMAN ZIEMER: Yes.

15 MR. RAMSPOTT: I know what they
16 told me.

17 CHAIRMAN ZIEMER: Right.

18 MR. RAMSPOTT: And --

19 CHAIRMAN ZIEMER: I think --

20 MR. RAMSPOTT: -- working around
21 these guys, this --

22 CHAIRMAN ZIEMER: I think the Work

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Group accepts that the cleaning occurred. Is
2 that not correct?

3 MEMBER MUNN: Yes, that's correct.
4 Absolutely.

5 CHAIRMAN ZIEMER: Yes. Yes, I
6 don't --

7 MR. RAMSPOTT: If you would reason
8 the cleaning occurred in the old betatron, I
9 heard John Mauro say he had to throw
10 everything out.

11 CHAIRMAN ZIEMER: Well --

12 MR. RAMSPOTT: John, is that not
13 --

14 DR. MAURO: I don't know, does
15 anyone else have a perspective on this? I
16 know -- Bob, would you agree with that? I
17 mean, if the starting point has been cleaned
18 up extensively that, you know -- I don't know.

19 You know, I hate to step on your toes, Bob,
20 but it seems to me common sense would dictate
21 that.

22 DR. ANIGSTEIN: I was kind of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 questioning his statement.

2 CHAIRMAN ZIEMER: Well, in any
3 event, yes, you may have to ponder what the
4 implications of that are, but certainly --

5 MR. RAMSPOTT: If [identifying
6 information redacted] is available --

7 CHAIRMAN ZIEMER: Yes.

8 MR. RAMSPOTT: [identifying
9 information redacted] has no ax to grind in
10 this program.

11 CHAIRMAN ZIEMER: Yes. Well --

12 MR. RAMSPOTT: He worked at Dow.
13 He didn't work at GSI.

14 CHAIRMAN ZIEMER: I don't think
15 we're disputing his --

16 MR. RAMSPOTT: I haven't talked to
17 him in a year until I --

18 CHAIRMAN ZIEMER: -- testimony
19 that that had occurred, so --

20 MR. RAMSPOTT: -- talked to him
21 about this matter here, because I remember him
22 saying he was an electrician. I had no idea

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 he was involved in seeing the cleanup or how
2 it was -- he named the guy from Water Blast by
3 name because he went to high school with him.

4 CHAIRMAN ZIEMER: Yes.

5 MEMBER BEACH: John, this is
6 Josie. We do appreciate your bringing that
7 information forward. Thanks.

8 MR. RAMSPOTT: Thank you very
9 much. These people, three, four people
10 different people telling the same story
11 different directions, don't talk to one
12 another.

13 CHAIRMAN ZIEMER: Yes.

14 MR. RAMSPOTT: I try to
15 triangulate everything I present to you. I
16 always have. And I wouldn't have said it if I
17 wasn't comfortable with it.

18 CHAIRMAN ZIEMER: Yes.

19 MR. RAMSPOTT: Thank you very
20 much.

21 CHAIRMAN ZIEMER: We thank you.
22 Okay. Let's break for an hour and come back

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 at 1:15.

2 (Whereupon, the above-entitled
3 matter went off the record at 12:15 p.m. and
4 resumed at 1:17 p.m.)

5

6

7

8

9

10

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 like to do here as we begin the afternoon
2 session, I'm trying to get a feel for the
3 extent to which there's some mutual ground
4 between SC&A and NIOSH on the issue of
5 surrogate data. I've gone back and looked at
6 the five criteria. I believe, if I'm not
7 mistaken, that there was already agreement now
8 on criteria 2 and 4. Am I correct, either Bob
9 or John Mauro, on criteria 2 and 4? You both
10 have agreed with NIOSH's approach on those two
11 items, is that correct?

12 MR. ALLEN: I was going to say I
13 think Bob said that on --

14 CHAIRMAN ZIEMER: Four was
15 temporal.

16 DR. ANIGSTEIN: Four we agreed
17 with.

18 CHAIRMAN ZIEMER: Well, and 2 had
19 to do with a more robust analysis.

20 MR. ALLEN: Yes, I was going to
21 say I think that's provisional or whatever.

22 CHAIRMAN ZIEMER: It's going to be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 provisional. You would have to include that
2 in the Appendix BB.

3 DR. ANIGSTEIN: Yes. No, we did
4 not agree with No. 3.

5 CHAIRMAN ZIEMER: Oh, I didn't say
6 3. I said 2.

7 DR. ANIGSTEIN: Oh, 2? I'm sorry.

8 CHAIRMAN ZIEMER: Yes. Now, what
9 I want to ask now is on process, site or
10 process similarities, did I understand that
11 were NIOSH to use one of the other sites;
12 maybe it's one that you guys cited, SC&A, that
13 were the surrogate, that you might be
14 comfortable with criteria 3? I'm just asking.
15 I may have misinterpreted.

16 And also that if that were to
17 concur and you agreed that the process, site
18 or process similarities were appropriate that
19 you would feel more comfortable with using the
20 surrogate data versus the later data which
21 John now has indicated has some questions on
22 because of the cleanup, so that you would

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 agree to the hierarchy issue as being -- that
2 the surrogate data would be appropriate if it
3 has distinct advantage. I'm just -- again I'm
4 asking those two.

5 And that if the appropriate site
6 or process similarities issue was addressed,
7 that plausibility might be more acceptable.
8 I'm trying to get an extent to which -- you
9 know, our starting point was has the criteria
10 been met and I'm trying to see to what extent
11 if these changes were made would that take
12 care of that? We would still have to agree on
13 what the surrogate data selections would be.
14 And then we would still have to decide whether
15 we want to accept surrogate data criteria or
16 accept that for the two periods.

17 So I'm trying to get a feel for
18 that.

19 DR. NETON: I would suggest
20 criterion 1, the hierarchy data -- if it's
21 true that the facilities were cleaned up,
22 which it seemed to be, then SC&A would

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 probably agree that that criteria was
2 fulfilled. If you can't use the FUSRAP data,
3 then it can't be --

4 CHAIRMAN ZIEMER: It can't be
5 better than the --

6 DR. NETON: We would have used the
7 appropriate surrogate data -- it would have
8 been appropriate to use surrogate data if the
9 building was cleaned up.

10 DR. ANIGSTEIN: Well, but the
11 adjustments are not -- were not made
12 appropriately.

13 DR. NETON: What's that?

14 DR. ANIGSTEIN: No, under criteria
15 1 the problem is that the adjustments -- are
16 we talking about 1?

17 DR. NETON: Yes.

18 DR. ANIGSTEIN: Okay. Under
19 criteria 1 the main problem was that the
20 adjustment was not appropriate. Going from --
21 first of all, there is a --

22 DR. NETON: Well, the Criteria 1

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 is --

2 CHAIRMAN ZIEMER: Hierarchy of
3 data.

4 DR. NETON: -- is you only use
5 surrogate data if there are no other suitable
6 data to be found.

7 DR. ANIGSTEIN: And then only
8 after appropriate adjustments have been made.

9 DR. NETON: Right.

10 DR. MAURO: Yes, Bob, I agree with
11 you.

12 Jim, I know you folks are headed
13 -- there's -- I've come to a place now where
14 in light of the stipulation that there was
15 cleanup, that means the use of the hierarchy
16 of data has been demonstrated. We can't go
17 that route. The only data, site-specific data
18 we had was this FUSRAP data and, you know, it
19 sounds as if that there's agreement that
20 there's good reason to believe that there was
21 this cleanup which puts us in a place where,
22 okay, now we have to resort to surrogate data.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 And so therefore within that context, Jim, I
2 agree.

3 DR. NETON: Right.

4 DR. MAURO: We now have moved into
5 the realm where I think a justification has
6 been provided that it's appropriate to use
7 surrogate data. We've exhausted our effort to
8 try to use site data. Of course now once you
9 move into that realm. So if you want to call
10 that agreement on 1. But as Bob points out,
11 that's coupled up also with, you know, how you
12 use that data.

13 So but, yes, I understand what
14 you're saying and I would agree that it's time
15 to move off the model and move to the
16 surrogate data strategy and talk about, okay,
17 how do we get through that process and
18 converge on agreement on what I would call the
19 starting point with a good surrogate data set.

20 And then of course the way in which you apply
21 that data and the adjustments you make.

22 DR. NETON: Right. Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRMAN ZIEMER: Now, the
2 adjustment issue is only an issue if you were
3 adjusting the data set --

4 DR. NETON: The slug data.

5 CHAIRMAN ZIEMER: -- the slug
6 data, which you may not be doing if you end up
7 selecting a better -- and I'll call it
8 "better" for lack of a better term -- a
9 different site. So which has --

10 DR. ANIGSTEIN: I don't know, I
11 mean, the question of what John just said on
12 the phone, there seems to be a disconnect
13 between the level of contamination found in
14 the old betatron building by -- during FUSRAP
15 cleanup by ORISE and this aggressive cleaning
16 that was being described. It just doesn't
17 seem to make -- it doesn't seem to be
18 plausible that they would have found the
19 contamination levels that they did in the
20 light of such a cleanup. Whereas the new
21 betatron building, that was much earlier. It
22 was stated that there was a cleanup and in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 fact there was nothing found there.

2 But the pattern of contamination,
3 the fact that it was like along the -- around
4 the railroad track, seemed to be consistent
5 with the use of that building. And it just
6 seems to be not consistent with the assumption
7 of the cleanup of that -- of a very aggressive
8 cleanup. That's just an observation which is
9 -- I mean, we can't ignore.

10 DR. MAURO: Well, you know what;
11 this is John, to get the process moving
12 forward, I guess the question is do we want to
13 stipulate? You know, it's a legal term that I
14 thought to use. We understand that there are
15 questions that -- in other words, I hear what
16 Bob is saying. And there seems to be -- you
17 know, if there was such a cleanup, why are we
18 seeing what we're seeing, et cetera? But I
19 think, you know, for the purpose of this
20 meeting rather -- you know, all I could say is
21 that rather than try to -- you know, we need
22 to -- I think we need to accept John

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Ramspott's and Dr. McKeel's argument that this
2 is true. There was a cleanup. The degree of
3 cleanup we -- it certainly occurred, it sounds
4 like, and the degree of cleanup, and what the
5 implications are. It really means it's hard
6 to use our model.

7 And then I'm -- you know, I'd like
8 to be able to say, yes, we can use our model,
9 but it seems to me we need to set that aside,
10 unless you want to go down the path of digging
11 into that, and I think that that will be a
12 never ending task. I'd sooner think it's
13 better to set our model aside, notwithstanding
14 the fact that, you know, it may have some
15 validity, but I think I would recommend to the
16 Work Group that we pursue the surrogate line.

17 Let that one go. It was our work. You know,
18 we did the best we could. But I think that it
19 served its purpose, but now I think it's time
20 Kent Lambert, M.S., CHP
21 Director, Radiation Safety
22 Drexel University

23
24 1601 Cherry Street, Suite 10444
25 Philadelphia, PA 19102

26 to let it go. I do think we should be working
27 the surrogate data line.

28 And whether or not we could find
29 the starting point, and I say I think we can
30 given what I've seen so far. And in light of
31 -- once we have that starting point, I think

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 we could converge on an agreement of what
2 types of adjustments and what types of models.

3 How do we use that starting point? So I see
4 a very tractable problem here.

5 It certainly would have to -- so
6 what I'm coming down to is that all of the
7 issues associated with surrogate data, you
8 know, we do have to go through the process
9 now. You know, how do we converge and agree
10 that, yes, you picked a good starting point?
11 Yes, the adjustment factors are the
12 appropriate ones, that sort of thing. And I
13 think we could work through that.

14 CHAIRMAN ZIEMER: John, or John
15 and Bob, if a suitable set of surrogate data;
16 and I say "suitable" in terms of site or
17 process similarities, were identified, and you
18 have at least one that looks awfully close,
19 does that in your mind also then to some
20 extent address the plausibility issue?
21 Because if it's an appropriate surrogate site,
22 then in a sense it seems to me you're saying

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that the values that you gain from that are
2 plausible if the site in fact is a good
3 surrogate for GSI. Does that follow in your
4 mind logically? I'm asking John or Bob.

5 DR. ANIGSTEIN: Well, the
6 plausibility criteria is not to the value of
7 the -- you know, the particular value of the
8 parameter, but it's the reasonableness of the
9 assumptions. And the model -- it's a question
10 of the models.

11 CHAIRMAN ZIEMER: And so --

12 DR. ANIGSTEIN: So here where we
13 have --

14 CHAIRMAN ZIEMER: -- you couldn't
15 address that until you knew more specifically
16 how you were going to use --

17 DR. ANIGSTEIN: Yes.

18 CHAIRMAN ZIEMER: -- the surrogate
19 data? Okay.

20 I know -- I think, John, you
21 pointed out in the past we've also thought of
22 plausibility in terms of is it -- does it make

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 sense reasonably? Like dust loading of air
2 can only reach so much and then a person can't
3 breathe it anymore.

4 DR. MAURO: Yes, let me -- in the
5 historic use of plausibility the question that
6 we would ask ourselves is we've picked a
7 surrogate site where the starting point is
8 some dust loading that's -- let's say it
9 turned out to be -- let's say we picked, you
10 know, Bethlehem Steel for a dust loading,
11 okay, where they rolled steel. Okay? And you
12 got these enormous dust loadings. The
13 plausibility was meant for that purpose, that
14 is originally. That's the original narrow use
15 that we used when we started. That doesn't
16 mean it's not evolving. And we would say, no,
17 it's not plausible that -- and in fact they're
18 plausible circumstances.

19 Those circumstances did not exist
20 at GSI. So therefore -- so I would argue the
21 plausibility issue goes toward is it plausible
22 to have dust loadings associated with -- you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 know, is it a plausible circumstance that
2 we're taking from one location to another?
3 And you could have concentrations of that
4 elevation.

5 So what I'm saying is once you
6 pick a surrogate that represents a set of
7 operations and their associated dust loadings,
8 that seem to be plausible as applicable.
9 Let's say applicable and -- plausible
10 circumstances that -- and I say that I think
11 that amongst the new ones we're looking at we
12 have that.

13 The broader interpretation of
14 plausibility as used by Bob, and certainly not
15 unreasonable to do that, but I typically don't
16 do that, goes toward the plausibility of the
17 model. In other words, in my world -- and Bob
18 and I, you know, we're sort of showing -- you
19 know, airing out our dirty laundry here, but I
20 would not refer to that as plausibility. I
21 would simply refer to that as, listen, you
22 start -- you pick a good starting point.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 And I think we can pick a good
2 starting point. And then we have to agree on
3 how do we model -- use that information to
4 model the concentrations in the air as a
5 function of time throughout the operational
6 history of GSI during operations, and then of
7 course during the residual period? And what
8 models and assumptions should be used? I
9 typically don't use that as a plausibility,
10 but you can. Either way it's just semantics.

11 The question really becomes given
12 -- we need to first and foremost agree on a
13 starting point that we all agree that, yes,
14 that particular dust loading is a set -- it
15 represents a set of circumstances that is
16 applicable to GSI and perhaps plausibly
17 bounding. And then once we could agree on
18 that, then we could talk about what would we
19 do with that data, that starting point in
20 order to feel confident that we are placing a
21 plausible upper bound on the exposure that
22 were experienced by or might have been

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 experienced throughout the operating life of
2 the workers at GSI?

3 So I mean, I think it's -- you
4 know, the hard part is getting that starting
5 point. After that it's just, you know,
6 digging -- rolling up our sleeves and agreeing
7 on the mechanics. How do you do the modeling?

8 And Bob was very attentive, as you noticed,
9 when he went through the back calculations at
10 the starting point. But a lot of what he has
11 described in terms of the mechanics is
12 important; that is, that we had episodic
13 generation of dust.

14 And then of course it -- and it --
15 so I would say that this is all very tractable
16 if we agree that there is a starting point.
17 And I think that we have enough experience
18 from handling of uranium metal at other
19 facilities that we could pick one of those as
20 being -- representing a plausible upward bound
21 of what might have been experienced during the
22 handling of the metal at GSI.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 CHAIRMAN ZIEMER: Okay. Thank
2 you. Any other comments? Board Members,
3 questions, comments? Dave or Jim?

4 MR. ALLEN: I was just going to
5 reiterate what John was just saying. I was
6 just looking at the Board's surrogate data
7 criteria and it's kind of like we're saying
8 it's an -- surrogate data is an SEC issue, and
9 it's really both because the criteria deals
10 with not only can we use surrogate data, but
11 how is it used?

12 CHAIRMAN ZIEMER: Yes.

13 MR. ALLEN: And I think the only
14 question here with this plausibility part is
15 how we are using it, which is more of a
16 TBD-type of issue, not an SEC-type issue. I
17 don't know if that makes a lot of difference
18 in our Work Group right now, but I think there
19 is a -- I think that's what John's trying to
20 say, is separating that slightly.

21 DR. ANIGSTEIN: Yes, the
22 plausibility -- according to the Board

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 criteria, the plausibility refers not to the
2 value, but to the manner in which -- I mean,
3 yes.

4 MR. ALLEN: The manner that it's
5 used.

6 DR. ANIGSTEIN: The manner in
7 which the surrogate data are to be used must
8 be plausible with regard to the reasonableness
9 of the assumption that's made.

10 DR. MAURO: And I'm okay with that
11 broader interpretation.

12 DR. ANIGSTEIN: So it's the manner
13 -- it's not the value. It's not the data.
14 It's the use of it.

15 CHAIRMAN ZIEMER: Right. Okay.
16 Thanks.

17 DR. ANIGSTEIN: That's how it --
18 whether this is right or wrong, this is what's
19 in there.

20 CHAIRMAN ZIEMER: That's what it
21 is, yes. Wanda?

22 MEMBER MUNN: What we've been

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 doing here is almost a poster child for the
2 reason for the Appendix to begin with. This
3 is why Appendix BB was put together, so that
4 we would have -- not have to do what we have
5 just been doing here for the last year or so
6 in this Work Group. That Appendix was put
7 together so that when you have an AWE or sites
8 like this one where information is not clearly
9 available, you have the weight of knowledge of
10 the entire process and the entire background
11 of nuclear knowledge with respect to these
12 metals and how they behave. We have -- that
13 knowledge is known to us and it's available to
14 us.

15 And that's why we have the
16 Appendix so that we do not have to do the kind
17 of detailed parsing that we attempt to do when
18 we don't have adequate firsthand measurements
19 to rely on. We already know what the material
20 does and we know how these processes affect
21 it. So it is to our benefit to come to a
22 conclusion on whether or not we will use that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 material as it was I think intended to be used
2 when we put the Appendix together.

3 MEMBER BEACH: Well part of our
4 criteria also states that we have to use sites
5 with process similarities. And I think at
6 this site it's been brought up numerous times
7 that there are dissimilarities between the
8 processes. There's more equipment, the way it
9 was sliced, cut, dingots, ingots. I mean,
10 there's just more that I don't believe we
11 know, and that's part of the reason we're
12 talking about surrogate data. And part of our
13 charter is to make sure that that surrogate
14 data being used is similar. And I still don't
15 feel that we have a good handle on what went
16 on, how long it went on, what was cleaned up,
17 what was not cleaned up at GSI.

18 MR. ALLEN: Well right now the
19 models and et cetera, you know, other than
20 that alternative model, don't count on that
21 cleanup and everything else. But as far as
22 the process similarities I don't think anybody

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 envisioned calling movement of metal a
2 process. I mean at some point you cut the
3 thing so thin that you have to say, well, you
4 moved it with a Yale fork truck, but not a
5 Ford fork truck. You know, I mean, at some
6 point you got to say we have an overall task
7 that includes these other items, issues.

8 MEMBER BEACH: I don't know if
9 we've done that though completely.

10 MEMBER MUNN: We have surrogate
11 information from not just one site, but from
12 multiple sites with respect to what the
13 bounding doses could be for certain kinds of
14 activities and certain kinds of metals. And
15 of all the metals in the world that have been
16 studied, uranium probably tops the list in
17 terms of what we know with respect to bounding
18 doses. And bounding doses ultimately are what
19 we rely on to be able to say, yes, this was a
20 hazardous environment for these workers or it
21 was not.

22 CHAIRMAN ZIEMER: Okay. Other

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 comments?

2 DR. McKEEL: This is Dan McKeel,
3 Dr. Ziemer.

4 CHAIRMAN ZIEMER: Yes, Dan?

5 DR. McKEEL: Well, I would like to
6 comment on the comparability of the three
7 sites that David Allen came up with and GSI
8 and just comment that it seems to me that
9 comparability of process and site also
10 includes how the uranium metal -- not only was
11 it transported, how it was picked up and
12 transported from one site to another.

13 I mean, you can say that that's
14 all one operation, but in fact that's not
15 true. I mean, there are different amounts of
16 uranium released when a forklift picks it up
17 with its sharp teeth and say when a grappling
18 hook picks it up, or when a chain is wrapped
19 around an ingot and picks it up. I don't
20 believe that. And somebody mentioned data
21 earlier today from one of the surrogate
22 proposed sites where a forklift gave very high

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 numbers compared to the 590 dpm. I think it
2 was 3,600 dpm. So this idea that there is
3 uniform data about the airborne levels
4 achieved after various types of handling,
5 that's not true.

6 So saying that no site can
7 possibly pass the similar process test for --
8 and this is what I've been saying since 2008
9 many times, is the fact that uranium for
10 Mallinckrodt went over to GSI to be subjected
11 to high-MeV betatron irradiation which caused
12 fission and activation. And that was not the
13 case at any of those other sites. It just
14 wasn't. Two sites made slugs. That's the
15 very reason -- the two sites that Dave Allen
16 brought up made slugs. That's what they did.

17 And here today, in really an
18 amazing, I want to say illogical manner -- but
19 the logic of the surrogate data test has
20 really -- you all have tried to bypass it and
21 ignore it and not apply it. I mean, the SC&A
22 findings were that the slug facility data

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 flunked all of the tests including
2 plausibility and the only one that was really
3 resolved to everybody's satisfaction was the
4 temporal criterion. So that left four that
5 were not satisfied. And I don't believe today
6 that there has been a definitive coming
7 together of the minds on that.

8 What you're now saying is -- John
9 Mauro must have said a half a -- I mean, a
10 half a dozen times, two dozen times that what
11 we need to do is pick a starting point. Well,
12 I don't think you can pick a starting point,
13 because even though you might say that the
14 billet production facility, No. 3, was pretty
15 good; words like that have been used, and not
16 bad; words like that, actually only a very
17 small and unknown fraction of the uranium that
18 was processed and handled at GSI was a billet,
19 which was a smaller type of uranium object
20 than the 3,000-pound ingots and the 3,000-
21 pound dingots. And none of the billets were
22 subject to betatron irradiation and fission

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 and activation.

2 So the idea that you could say
3 that any of those other facilities came close
4 to GSI, much less be stringently justified as
5 being similar, it really defies all the
6 intelligent reasoning that I've collected in
7 the last 73 years. And I hope very much that,
8 you know, there will be a consensus. This
9 process similarity has just not been achieved
10 and won't be achieved. And when John Mauro
11 repeatedly says this problem is tractable and
12 resolvable, then I challenge him. Show me
13 another site where there's surrogate data
14 where the airborne levels of uranium were
15 actually measured, real data on uranium that
16 had been subjected to high-MeV fission and
17 activation. Please just show me that.

18 DR. MAURO: I think it's applied
19 --

20 DR. McKEEL: A wide range of
21 daughter products are generated during both of
22 those processes and one of our objections; and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 I'm talking about the petitioners' objections,
2 to Appendix BB from the very beginning, in
3 June 2007, was that it does not account for
4 that full range of radionuclides that are
5 produced.

6 And we've repeatedly cited the
7 paper by Dr. Ziemer and Guo where they
8 subjected surgical instruments to a linear
9 accelerator and showed a similar very wide
10 range of activation products in those metal
11 instruments. And NIOSH has not modeled all of
12 those. They have not come up with good
13 numbers. They've underestimated the amount of
14 fission products and underestimated the number
15 of activation products that are in every
16 article that we've supplied to you by
17 Sugarman, by Kuttemperoor, the most recent one
18 by Crowley, who discovered promethium in 1945.

19 His article, which I sent you the abstract
20 of, all had a much wider ranger of
21 radionuclides than you all have accounted for.

22

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 And I don't think any of those
2 other sites that Dave Allen's come up with, or
3 anybody's come up with, had anything to do
4 with what went on at GSI. There was a graph
5 shown from what happens to suspension at
6 Simonds Saw before and after rolling mill
7 operations. Well, that has nothing to do with
8 GSI. Yes, it took 30 days for it to come down
9 to a good level, but that was in a rolling
10 operation. GSI didn't do rolling operations
11 and they didn't do rolling operations on
12 Mallinckrodt uranium.

13 So I would strongly disagree with
14 John Mauro. I don't think there's a good
15 starting point. And I think you should go
16 back and rigidly apply the Board surrogate
17 data criteria to each and every substitute
18 surrogate data site that you say is good and a
19 good starting point. And I think that it will
20 flunk. All those sites will not pass the test
21 on at least one or more of the surrogate data
22 criteria.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 And if you tell me that it's
2 plausible to use a site that has no betatron
3 fission and activation as a surrogate for a
4 site that does, where that's the sole purpose,
5 and you tell me that's plausible and passes
6 the plausibility test, I'd say the criteria
7 are basically worthless. And I don't think
8 they are worthless. I heard all those
9 discussions. I know why plausibility was put
10 in there. There was some disagreement about
11 exactly what they meant. But I would point
12 out to you right now that 10 years after this
13 program in EEOICPA was instituted, there's
14 still an argument about defining sufficient
15 accuracy, a core principle that governs dose
16 reconstruction. That's still not defined
17 carefully, nor is plausibility.

18 So I'm saying that in the ordinary
19 way that human beings and scientists and
20 trained scientists and intelligent scientists
21 use the word "plausibility" -- that to say
22 that a slug production facility, a billet

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 production facility that had no radiographic
2 examination of that uranium is comparable to
3 GSI, it is just logic that's too tortured and
4 it's certainly not defensible in my view. So
5 I guess that's all I want to say.

6 DR. MAURO: This is John. I do
7 have to help clarify a couple of things I
8 think that are very important.

9 The real question we're asking
10 ourselves -- there's a metal that we're
11 handling, uranium, and when you're handling
12 it, you're going to have the potential to
13 generate aerosols. What Dr. McKeel pointed
14 out is we're really asking can we -- are there
15 handling -- metal -- uranium handling
16 operations where we've measured the number of
17 milligrams or micrograms of uranium in the air
18 while that metal was being handled? And could
19 we just say that those represent a plausible
20 bound for the uranium handling that took
21 place, the metal uranium handling that took
22 place at GSI?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 The composition -- now, here's --
2 and, Dr. McKeel, please, here's where I have
3 to disagree with you. You're really posing a
4 question regarding the composition of that
5 metal. In other words, the fact that it has
6 been irradiated means that, yes, you might
7 actually have some activation products. So
8 it's not just uranium that's airborne anymore.

9 It's uranium with perhaps some fission
10 products, all of which was modeled and in a
11 way that I think we've been through. So
12 really we have to separate the two. It's very
13 important to make a distinction.

14 DR. McKEEL: Yes, but --

15 DR. MAURO: The only question
16 we're asking ourselves -- let me finish and
17 then I'll stop --

18 DR. McKEEL: All right.

19 DR. MAURO: -- is are there metal
20 -- are there uranium metal handling activities
21 out there that we could say are of a nature
22 that generates aerosols that we could say are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 plausibly bounding? The only problem we're
2 having is that most of the metal handling
3 operations out there are too high. That is
4 because not only do they handle the metal,
5 they also machined it and they also did other
6 things with it that would generate even more
7 aerosols. And that's -- you know, so that's
8 one of our dilemmas.

9 But I think that David and SC&A
10 have found a few where we could say, well,
11 this looks like some -- a place where it was
12 primarily handling the uranium metal. And
13 granted, it's not exactly the circumstances,
14 whether they handle it with a chain or a
15 forklift, or how many times a day did they
16 turn it around? I mean, there's always a
17 place you could find where you could parse it
18 and say, well, you don't really have a
19 comparable circumstance. And that's up to the
20 judgment of certainly the observer; yourself,
21 the Board. But in my mind if you can't find a
22 surrogate for handling uranium; and I'm going

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to be a little outrageous, you can't find a
2 surrogate for anything. This is as classic,
3 as simple a problem as you could have in terms
4 of looking for surrogate data.

5 Unfortunately, in the original
6 start of this whole process NIOSH picked what
7 I -- we now -- SC&A believes is a poor
8 surrogate. It was not really uranium metal
9 handling. It was a different kind of thing.
10 But that doesn't mean we can't find one. And
11 I think we've already found one. And if we
12 look harder we could probably find more. But,
13 boy, we're talking about the simplest of
14 things, handling uranium metal. So I for one
15 feel strongly that we could find and agree
16 upon a surrogate for the GSI handling of those
17 ingots. And the fact that they were
18 irradiated with the betatron is not relevant
19 to this question that we're talking about
20 right now.

21 DR. McKEEL: I would like to
22 reply, please.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 CHAIRMAN ZIEMER: Sure.

2 DR. McKEEL: No, you're not
3 getting what I'm saying correct. I am saying
4 that that's part of the equation, the fission
5 and the activation. But what I'm also saying
6 is the metal itself -- there is a difference
7 between a slug, a billet and an ingot and the
8 dingot. And what is the difference? The
9 difference is that the ingots and the dingots
10 that were sent over from Mallinckrodt had not
11 been cropped, had not been shaved on a
12 vertical lathe. They still had their bomb;
13 and I'm using that as the furnace bomb that
14 was used to produce those metal -- those
15 uranium metal forms. And as you know, as we
16 all know, and as is inadequately treated in
17 TBD-6000, which I pointed out when this Work
18 Group was revising that document, still not
19 treated correctly in TBD-6000 Rev. 1. There
20 is an irregular magnesium fluoride crust that
21 has various impurities in it, including a
22 small concentration of thorium which

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 accumulates at the surface.

2 So in several different ways an
3 ingot and a dingot compositionally, chemically
4 and physically, the surface of them is
5 different from a clean pure uranium metal
6 product. And a slug is a good example of a
7 pure clean uranium metal product. It doesn't
8 have a magnesium fluoride crust. And you know
9 that that magnesium fluoride crust doesn't --
10 it has different compositions. I suspect it's
11 not as hard a metal. It's not as hard a
12 substance as the inner uranium core, which is
13 very hard -- when they sent uranium through a
14 extrusion press and heated it, one of the big
15 problems is it would fragment. And the people
16 at Dow knew that. They could tell when
17 uranium was being processed. Even when the
18 name of the metal was hidden from them, by its
19 characteristics in an extrusion press it would
20 fragment. It was difficult to do.

21 So, no, I'm not at all saying this
22 is not one of the simplest things that you can

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 model. And in all due respect to everybody,
2 including Wanda Munn, I have also given you
3 all data of a nice campaign that was done
4 where they were studying uranium dingots from
5 Mallinckrodt that were sent to Hanford for the
6 Hanford reactors, where she worked, and they
7 had done various things to those dingots.
8 They had various amounts of trace metals that
9 were added to them to see if they could change
10 the structural stability of those ingots in
11 the reactors themselves. And eventually they
12 abandoned them.

13 So, you know, but there was a
14 beautiful table in the data that I sent you
15 all that showed the individual variances of
16 individual dingots, and they varied quite a
17 bit. And some of them worked and some of them
18 didn't work, and some of them deformed and
19 some of them didn't deform. You know, so this
20 idea that it's one product and it's simple is
21 absolutely contrary to what the scientific
22 literature shows. And I agree with Wanda

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Munn. I like to stand on published peer-
2 reviewed scientific literature.

3 And I would say this: I don't
4 think there is a site where you can produce a
5 paper of scientifically peer-reviewed
6 literature that has a process where they are
7 handling fission and photo-activated uranium
8 that's been produced as an ingot or a dingot
9 by a derby melting two-step process or a
10 one-step dingot process like it was from
11 Mallinckrodt Destrehan Street and later from
12 the Weldon Spring Plant in Saint Charles
13 County.

14 So, no, I respectfully disagree.
15 I don't think this is the simplest product and
16 I don't think it's the simplest situation.
17 And I would say because of the outer bomb
18 crust that was adherent to the ingots and the
19 dingots, then you have to pick a surrogate
20 data site that processed ingots and dingots.
21 And so the three sites that Dave Allen came up
22 with wouldn't pass that test. They made slugs

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 and billets. So that's my comment.

2 CHAIRMAN ZIEMER: Thank you. Yes,
3 Bob?

4 DR. ANIGSTEIN: Okay. First, as
5 far as the nature of the uranium, starting off
6 with the irradiation of the uranium, starting
7 off with the fact that the uranium was
8 irradiated, a microscopic, submicroscopic
9 fraction of the uranium atoms are actually
10 involved. We're talking about activities with
11 short term -- yes, there is some radioactive
12 radioisotopes. Two of them actually are
13 uranium isotopes, so they would have the same
14 physical properties as the natural
15 constituents of uranium in terms of -- so say
16 mechanical properties.

17 The fission products we have
18 calculated. They are in the -- absolutely in
19 the minuscule range. I can't quote you a
20 number right now, but they're order -- many,
21 many orders of magnitude below unity, below
22 the concentration of uranium, though there is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 just not enough there. They are far lower
2 than the ordinary impurities in the uranium
3 metal. So that is not an issue.

4 It's an issue for reconstructing
5 doses, and as it turned out, it's a very small
6 amount. We have mathematically derived that
7 and we have used all of the latest physics
8 models. We don't have to go back to papers
9 from 1945. We have the very latest. So that
10 is simply not an issue. I mean, you can --
11 this can be brought -- any issue can be
12 brought up just to try to discredit what's
13 being done. But that is not a valid issue.

14 As far as the uranium coming with
15 slag and with fluoride, with magnesium
16 fluoride attached to it, there is no basis for
17 believing that except the assertion that is
18 being made now that because that is how it was
19 produced, it is being assumed and asserted
20 that that's how it was shipped to GSI.

21 The literature --

22 DR. McKEEL: Dr. Anigstein --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. ANIGSTEIN: Excuse me. Let me
2 finish, if I may. The reports that we have
3 read are that the slag and the fluoride was
4 cleaned off and knocked off immediately after
5 it was made. The purpose for shipping it to
6 GSI were two -- there were only two reasons
7 for shipping it to GSI: There was the slices
8 where they were looking for imperfections in
9 the center of the metal which would affect
10 later on when it was being rolled into rods,
11 and it was also to look at how much of an
12 imperfect end could be sawed off.

13 The only firsthand information
14 about the end shots was from one worker whom I
15 interviewed who came in on this day shift and
16 he said the night shift had told him they were
17 doing these corner shots. And I made a
18 drawing in response to his account and sent it
19 back to him and said is this what you meant?
20 And the only -- the corner shots would be to
21 just determine how much of this imperfect
22 metal that you get at the end -- you always

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 get that in a casting. There is air, there is
2 -- slag gets included and they have to saw it
3 off. They don't want to saw off too much, so
4 they cut off on a band saw. And they did the
5 radiograph to tell them how many inches from
6 the end to cut off.

7 The lathing on the vertical lathe
8 would have been done. That is -- you cannot
9 -- unless you take hundreds of radiographs you
10 would not know how much to take off on the
11 lathe. And there's no need to, because the
12 machinist sees it. When he's bare metal, he
13 quits.

14 So that assertion is being made
15 without any firsthand information, even any
16 firsthand testimony. This is just an
17 assertion to try to say you can't model this
18 because this is how it was shipped. It was
19 not the way it was shipped, because our
20 metallurgist who has worked with uranium said
21 this made no sense whatsoever. This is not
22 the way things would have been -- this is not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 the way uranium would have been fabricated.

2 DR. McKEEL: Dr. Anigstein, this
3 is Dan McKeel. Do you have firsthand
4 information from any source about the
5 condition of a dingot that -- I sent you a
6 letter from within the Atomic Energy
7 Commission that that -- actually it was from
8 the -- it was from the ORNL cleanup program
9 that was talking about -- that the primary
10 product that was sent from Mallinckrodt to GSI
11 was dingots. Do you have any information that
12 those dingots had been cleaned off before they
13 went over to --

14 DR. ANIGSTEIN: Yes, there was the
15 report on the Mallinckrodt site which
16 described the processes.

17 DR. McKEEL: And it said that --
18 no, I don't believe so because -- I wish Mr.
19 Ramspott would weigh in on this. He has a
20 report from Mallinckrodt that says just the
21 opposite, that one of the purposes of sending
22 the uranium over there was to define that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 slag/uranium interface. So I don't think --

2 DR. ANIGSTEIN: The ends. The
3 ends, not the surface. And there is --

4 DR. McKEEL: Well, we --

5 DR. ANIGSTEIN: I cannot produce
6 this at this moment.

7 DR. McKEEL: Well, we have a
8 picture that we also sent you recently of --
9 you're right, of uranium dingots over at
10 Weldon Spring from the Weldon Spring
11 Interpretive Site Museum. And this is -- who
12 knows how long that dingot has been made, but
13 you know, it's quite clear that the outer
14 surface is rough coated slag and not smooth
15 shiny uranium.

16 So I believe that you're making an
17 assertion and I believe -- and, you know,
18 that's why we write all this down in our
19 technical papers. I can't go back and
20 reconstruct every single bit, and I think it's
21 wasting the Board's time to do that. We have
22 provided that information. We believe that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 based on technical reports that we've
2 furnished that one of the main reasons -- that
3 has been ignored by SC&A and by NIOSH, that
4 those dingots and ingots were sent over to
5 Mallinckrodt -- I mean, from Mallinckrodt to
6 GSI was to define that interface.

7 And so, regardless of what Dr.
8 Thurber says and your metallurgy experts and
9 so forth, that's their opinion. We have our
10 opinion. I think we've backed it up. And so,
11 I think the Board will have to decide. Thank
12 you.

13 MR. RAMSPOTT: Dr. Ziemer, this is
14 John Ramspott. May I add to this a moment?

15 CHAIRMAN ZIEMER: Sure.

16 MR. RAMSPOTT: I actually do have
17 that article. Matter of fact, I'm looking at
18 it and wrestling with it a little -- with my
19 email right now. So I will get this again
20 forwarded to Mr. McKeel so he can send it to
21 you. But it actually states in here -- and I
22 have shared this actually with this Work

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Group, with the Board, with SC&A, with NIOSH.

2 It clearly states in here the reason -- you
3 use high -- it's actually the symposium -- let
4 me get the exact -- you can pull it up, too.
5 It's online. Non-destructive Test in the
6 Field of Nuclear Energy. And they actually
7 state you use high-energy X-rays in order to
8 figure out how thick the crust is so it can be
9 taken off with the lathe. I mean, there's no
10 doubt about it.

11 We also visited Weldon Spring. We
12 have a picture of a dingot.

13 DR. McKEEL: Okay.

14 MR. RAMSPOTT: It still has the
15 crust on it. No ifs, ands or buts, it's on
16 there. But I'm going to come back to one --
17 if I could, just one important comment, and it
18 goes to everybody. We're talking about
19 surrogate material. You mentioned one site
20 that had 75 pounds of uranium over, I don't
21 know what the period of time was, and that was
22 one of the surrogate sites. Chambersburg, I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 believe. I have a more serious question for
2 you: Look at all those purchase orders. Do
3 any of those purchase orders tell you how many
4 pounds of uranium went to General Steel?

5 DR. ANIGSTEIN: No, John, you know
6 they do not because you --

7 MR. RAMSPOTT: That's correct.

8 DR. ANIGSTEIN: -- have them.

9 MR. RAMSPOTT: Correct. How can
10 -- I'm going to back extrapolate this a little
11 bit. How can you pick out a surrogate data
12 for GSI when you don't even know what GSI had?
13 How do you do that?

14 Now one ingot was 3,000 pounds. A
15 slice is maybe one-fifth of that. You don't
16 know many ingots, dingots, slices went to GSI.

17 You don't know much they weighed. Are you
18 going to take 75 pounds of uranium and
19 whatever was with that, take that times 50,000
20 in order to get GSI's magic number? If you
21 don't know what was at GSI, how can you use
22 any surrogate data? I don't care what site,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 you don't know what went to GSI.

2 I know some hours. And I question
3 the hours because nobody has ever broken down
4 by year the steel worker's salary. We've
5 taken some generalities, given out by
6 employees. They were guesses. They don't
7 know. They got a paycheck for 500 bucks.

8 DR. ANIGSTEIN: Excuse me. I just
9 want to clarify that point. I don't want to
10 interrupt you. It wasn't -- it had nothing to
11 do -- John, it had nothing to do with the
12 salary. The purchase order said we will pay
13 you \$16 an hour for your -- for the
14 radiography and we will pay you \$500 for three
15 months. So they specified -- it had nothing
16 to do with what the workers actually got.
17 This was the charge that was negotiated
18 between GSI and Mallinckrodt, so they simply
19 presumably would submit a record. We spent so
20 many hours and this is how much we charge you
21 at \$16 an hour. It was always \$16 a hour.

22 MR. RAMSPOTT: -- matter because

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 you eat up \$150 pretty quick if it's \$20 an
2 hour. You don't eat it up very quick if it's
3 \$1 an hour.

4 DR. ANIGSTEIN: Where do you get
5 -- they said -- \$16 an hour was on every
6 single purchase order except the very last one
7 or two when it went to \$35.

8 MR. RAMSPOTT: Yes, but you don't
9 have any purchase order for the early years.
10 The workers told me they made two bucks an
11 hour over there, three bucks an hour.

12 DR. MAURO: It's important not --

13 MR. RAMSPOTT: It's very
14 important.

15 DR. MAURO: No, no. It's
16 important not to get lost in the woods.

17 MR. RAMSPOTT: John, the biggest
18 item that I'm bringing up, you don't know how
19 much uranium was at GSI.

20 DR. MAURO: I would say -- I
21 postulate this for consideration by the Work
22 Group. The real question is how many hours a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 day, how many days per year were people
2 handling uranium metal? The uranium metal
3 could be a dingot, which is a large object.
4 It's very big. Or they could be handling a
5 large number of rods or billets, or other
6 forms, physically shaped forms. So I would
7 say that it's really -- we have to make sure
8 we got a pretty good handle on -- you know, if
9 you assume the person is doing it full time.

10 The real question is when people
11 are handling uranium metal there is airborne
12 dust. Okay? And so this business of the --
13 whether it's the tons and pounds, that's not
14 -- I don't -- in my opinion, I think the real
15 question is when you're handling metal, there
16 are a lot of different kinds and shapes and
17 sizes of uranium metal that you could handle.

18 But I do believe that the question
19 that Dr. McKeel raised, well, isn't --
20 sometimes we don't really -- there may -- I
21 will say at this point that certainly some of
22 that metal may have had some type of oxide or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 dolomite scale to it. Some of it may not.
2 Some portions of it may. Some portions of it
3 may not. And in theory that surface of the
4 metal could be influential in the degree to
5 which you could get aerosols generated.

6 For example, if you've got pure
7 uranium metal that is -- and it's -- you know,
8 we know that it has the potential to flake,
9 cause oxides. On direct -- some conditions
10 you get sparking. If you've got the outside
11 coating -- I don't know if Bill Thurber's on
12 the line. He may have a sense for it. But if
13 you have this coating on the outside that's
14 associated with the originally formed; I guess
15 it would be a derby or a dingot, it may
16 actually have a different type of surface.
17 And I would be the first to say, yes, there
18 may be a difference in that. So I concur that
19 that's worthy of deliberation.

20 And the degree to which by using
21 the surrogate data that we currently have
22 before us, the degree to which that might be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 non- representative of let's say handling a
2 dingot, I think that's -- and so I like to try
3 to keep complete open and clean on this.

4 So, I don't know, Bill, are you
5 --

6 DR. THURBER: Yes, I'm on.

7 DR. MAURO: Did you have -- I know
8 that you've looked at this a bit. We've
9 talked about this in the past.

10 DR. THURBER: I haven't been privy
11 to all the conversation today; I'm sorry, but
12 I would make one or two comments.

13 If you look at the worker surveys
14 that were done at the places that -- where the
15 bomb reduction was done, one of the operations
16 and one of the dirty operations was the
17 chipper. And obviously the chipper was the
18 guy who was cleaning up the surface of these
19 dingots or ingots before they were moved for
20 further processing. So, you know, it seems to
21 me that any product that goes out the door has
22 already had some chipping and cleaning of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 surface to remove easily friable material, if
2 you will.

3 And of course the other question
4 is, well, what is the composition of that
5 material? I mean, nominally it's a magnesium
6 fluoride. So those are a couple comments I
7 would make.

8 DR. MAURO: And let me close the
9 loop a little. What we have here is a very
10 good question. It goes toward, well, what are
11 we going to use for the surrogate, because we
12 have data that just about captures every
13 aspect of every -- of operations of uranium
14 under every circumstance. I'm thinking the
15 Adley report is a great example, and there are
16 many others by Christifano and Harris, Harris
17 and Kingsley. There's a collection of an
18 immense amount of information of uranium in
19 various stages being handled under different
20 conditions.

21 The real question is -- and, Dr.
22 McKeel, I appreciate your pointing this out,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 because there may be some question as to the
2 material. And I can't say for certain whether
3 there's a question or not, but there may be
4 reasonable questions. Was this dingot or
5 ingot or this slice -- it may have -- actually
6 the -- for example, the slice. The slice may
7 -- of course on one surface be the uranium
8 metal that's without any scale, but the
9 outside edge may very well have had some. So
10 what you're really posing; and this is a good
11 conversation, what are we going to choose as a
12 surrogate?

13 For example, all we're really
14 doing now is going a little deeper. Because
15 when we started out, SC&A was concerned with
16 the slug and the stamping. Well, what you're
17 saying is, well, let's be -- okay. Good.
18 Let's -- this is SC&A talking now. You know,
19 if we -- SC&A would say, well, listen, the
20 slug and the stamping, we don't think that's a
21 very good starting point. Not that the number
22 you come out with at the end is a bad number,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 but to start with that number, it seems that
2 really is very little parity in the way in
3 which the uranium is being handled. And it
4 seems that there are other places, other
5 handling operations that might be more
6 analogous to the handling operations.

7 And so now we're getting -- we're
8 sharpening the analysis further. What you're
9 saying is, okay, we're with you. And you're
10 saying, Dr. McKeel, that, well, we don't
11 especially like the fact that you're using
12 these particular cases, the ones that we've
13 cited earlier, discussed earlier. There may
14 be better ones. And I would be the first to
15 say, yes, there might be better ones. But I
16 think there are --

17 DR. McKEEL: No, I didn't say
18 that. I said I don't think are any others
19 that are comparable.

20 DR. MAURO: Fair enough. You
21 know, all I could say is that when I reviewed
22 that literature, and let me -- I spent eight

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 years diving into that literature. It's out
2 there. And right now I could say that if it's
3 bare uranium metal, we already have a few that
4 we've identified. And now you're saying,
5 well, let's assume, no, it's something that
6 might have some kind of dolomite crust on the
7 outside. You know, we'd go into the
8 literature, find -- you know, and see how we
9 can do -- if that turns out to be the
10 predominant form, yes, this is an uncertainty.

11 Is it manageable within the
12 context of dose reconstruction or sufficient
13 accuracy? Certainly once we come up with our
14 case, our arguments, I think all we've managed
15 to explore at this point is that you're
16 raising a question regarding this alternative
17 surrogate, just like we did. We did the same
18 thing when we started this out. We raised a
19 question regarding the stamping operation.
20 What you're doing now is you're raising a
21 question regarding the bare metal. And I
22 think that's a reasonable question to ask, you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 know, and it needs to be answered.

2 MR. RAMSPOTT: Dr. Ziemer, may I

3 --

4 DR. McKEEL: John?

5 MR. RAMSPOTT: -- finish my

6 original --

7 DR. McKEEL: Can I make a comment

8 just to follow on, because I --

9 DR. MAURO:

10 CHAIRMAN ZIEMER: Hang on.

11 DR. McKEEL: -- think I need to

12 keep this thread in continuity.

13 CHAIRMAN ZIEMER: Go ahead.

14 DR. McKEEL: I need to respond. I

15 appreciate what Dr. Mauro just said. I need

16 to respond to what Bill Thurber had to say.

17 And that was that we agree, there was a job

18 called a chipper. And when the bomb reduction

19 was completed and it cooled down enough to be

20 opened, which could take quite a while,

21 somebody had to clean the loose crust, slag,

22 scale; it's been called different things, but

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the magnesium fluoride had to come off. And
2 some of it was easy to take off, or relatively
3 easy, and other of it was tightly adherent to
4 the surface of the uranium metal. And that's
5 the point I tried to make.

6 Bill Thurber said it quite well:
7 Some amount of the magnesium fluoride had been
8 removed. But the point we're trying to make
9 is in all the pictures that we've seen it was
10 not completely removed by the chipper. And
11 that's the reason why in that symposium on
12 non-destructive testing of uranium metal the
13 comment was made that there needed to be some
14 radiographic guidance as to where the
15 interface was.

16 And I believe that same chapter
17 goes on to describe that, you know, when you
18 were going through with a vertical lathe,
19 sure, you could take extremely small cuts,
20 millimeters, but time was money then as it is
21 now, and they wanted to get through more
22 quickly. And if they had a radiograph, it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 would define the crust thickness, both at the
2 top and the bottom. And the bomb was adhering
3 around the sides, too, not just at the top.
4 So they had to do a top crop and a side crop
5 and a bottom crop. And we're saying that
6 that's what took place.

7 So I'm saying that a long time ago
8 we introduced that information. Three years
9 ago at least we introduced that information.
10 And I've thought all along, it won't be
11 possible, from what I know, to find a site
12 that did similar things for similar reasons,
13 because I don't know of a site that we're
14 defining -- Fernald would be a good one. We
15 don't know how it was defined at Fernald. I
16 think that would be interesting. We've
17 suggested looking into that. Was there a
18 betatron at Fernald, et cetera? I don't know
19 now the answer to all those questions.

20 But the other point, huge point
21 that I want to make today is John Mauro is
22 saying that we can work this out, but the vote

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that's supposed to take the recommendation of
2 this Work Group is supposed to take place
3 today, in a few minutes. And I don't think
4 there's any more time to do that. I think
5 that you should make your recommendation based
6 on a solid method that you have now, that
7 you're convinced will allow NIOSH to bound
8 with sufficient accuracy all -- all doses
9 during the operational period and the residual
10 uranium doses during the residual period and
11 all of the doses during the operational
12 period.

13 And so, you know, I don't think
14 there's time to explore around and look for
15 other data. And I would suggest this: If
16 nobody has found an exact comparable site to
17 GSI and what they did in the seven years since
18 2005 when all of us have been aware of the
19 betatrons and what was done at GSI, if nobody
20 has been able to do that in seven years, it's
21 highly unlikely that that's going to be done
22 in the foreseeable future. I have email from

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 -- between John Ramspott and John Mauro that
2 exploring a betatron model was something that
3 was underway at SC&A as far back as 2006.

4 So I'm saying that today is the
5 day. There needs to be a recommendation. I
6 think the recommendation is there is no solid
7 model for calculating intakes. The Work Group
8 certainly can decide that the intake model
9 that NIOSH proposed in Appendix BB is
10 satisfactory. But against that, I think they
11 have to say is the very solid recommendations
12 of SC&A before this discussion began today.
13 And what was written down in the work that
14 they were supposed to do for the Board was to
15 see whether the surrogate data criteria were
16 appropriately used for the slug facility in
17 TBD-6000, and the answer was, no, it was not.

18 And I don't think there's any more new data
19 that's been presented today since the data
20 about what happened during the cleanup period.

21 And I am pleased and think it's
22 important that it has been stipulated in a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 legal sense by both sides that the GSI old
2 betatron building was power washed to an
3 extensive extent in 1984, at least.

4 And so I think that's where things
5 are today and I do appreciate the time to
6 address the Work Group.

7 DR. THURBER: This is Bill
8 Thurber.

9 CHAIRMAN ZIEMER: Go ahead, Bill.

10 DR. THURBER: Dr. McKeel said,
11 well, this magnesium fluoride slag or whatever
12 it is did go through a chipping process and
13 what was left was very adherent. If what was
14 left was very adherent, then the likelihood of
15 it being removed during handling was of course
16 substantially diminished, or it would have
17 been removed.

18 The second point I would make, Dr.
19 McKeel said, well, it's very important to the
20 production to be able to take cuts as deeply
21 and quickly as possible. That fails to
22 recognize that it takes some pretty robust

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 equipment to these vertical lathes. And the
2 question is, well, how much of a cut can you
3 take at a time and how much are you going to
4 be saving in productivity if you knew if there
5 was some way that the X-rays would show you
6 the depth of contamination that you couldn't
7 discern by eyeballing the surface?

8 CHAIRMAN ZIEMER: Okay. Thank
9 you.

10 DR. McKEEL: Well, all we know is
11 that there is the Non-Destructive Testing
12 Symposium book that says that's exactly why
13 radiographic NDT examination of uranium was
14 done. And so --

15 DR. THURBER: Was that --

16 DR. McKEEL: -- I guess the answer
17 is --

18 DR. THURBER: Excuse me. You
19 know, I'm not familiar with that, but was that
20 symposium- specific --

21 DR. McKEEL: Well, it's a major
22 publication. I mean, I --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 DR. THURBER: Excuse me.

2 DR. McKEEL: You know, we have
3 presented that.

4 DR. THURBER: I beg your pardon.
5 May I finish, please?

6 DR. McKEEL: Of course.

7 DR. THURBER: I was asking the
8 question about something that I wasn't
9 familiar with. I'm not familiar with
10 everything that's gone on with GSI. I've been
11 working on other things. But I would ask you
12 this question: To what extent was that
13 symposium which you've quoted several times
14 specifically connected with the work that was
15 done at GSI?

16 MR. RAMSPOTT: Dr. Thurber?

17 DR. THURBER: I don't know. I'm
18 asking for information.

19 MR. RAMSPOTT: Dr. Thurber, may I
20 answer that for you?

21 DR. THURBER: Surely.

22 MR. RAMSPOTT: That document

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 actually names Mallinckrodt. And I'm going to
2 put that -- matter of fact, that's not the
3 only information. The chipper -- you're the
4 first guy I ever heard talk about a chipper
5 knocking the slag off, and you are 100 percent
6 correct. I have a picture of that person
7 doing that at the Weldon Spring site, which
8 would be dingots, where the Mallinckrodt
9 chipper is knocking the big heavy slag off of
10 the bomb with the uranium laying on the ground
11 and it shows him chipping. Then -- and that's
12 in the Post-Dispatch 1959 article that I have.

13 It's about a four-page article. It's really
14 great. I'll get you a copy of that.

15 I also then have the book that
16 we're talking about, the non-destructive
17 testing one. And they again -- they name
18 Mallinckrodt in there. They name a lot of
19 other sites. That's why this thing is not
20 just applicable to GSI. But they name
21 Mallinckrodt. They name the -- or they
22 actually state that high-intensity X-rays are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 used to figure out how much crust is left on
2 there.

3 DR. THURBER: Does the article
4 speak to specifics of what can be done, or is
5 it a generic comment that it would be --

6 MR. RAMSPOTT: No, it goes into
7 specifics. And then there's an additional
8 magazine that I found as a result of that that
9 goes with it and it actually shows those
10 dingots having the crust taken off by a turret
11 lathe. Mallinckrodt is named again in that
12 article.

13 DR. THURBER: Right.

14 MR. RAMSPOTT: There's three
15 different articles that will confirm
16 everything we're saying. And the one that you
17 brought up is 100 percent correct. And what
18 Dr. McKeel is saying apparently is 100 percent
19 correct. And I gathered that information and
20 I'm going to put it together again. I was
21 looking at it the other night and one thing
22 they said, where the chipper was at Weldon

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Spring there were extensive, I think is the
2 word they used, exhaust systems at Weldon
3 Spring for that. And I know you guys have
4 been involved with Weldon Spring, so you may
5 have seen these. But I'm going to put
6 together that package. I'll do it in the next
7 day and get it to everybody because it comes
8 directly to what we're talking about right
9 now.

10 DR. MAURO: Let me say something.
11 It's so easy to lose sight of what we're
12 trying to do. It's too easy to happen. If
13 the folks on the phone are saying that, well,
14 there are aspects to this operation -- let me
15 give you an example: Let's make believe that
16 there was some chipping going on at GSI. I'm
17 not saying there was. You could -- I don't --
18 see, what I was getting at is whatever you
19 want to postulate, well, they may have been
20 doing some cutting, they may have been --
21 whatever it is, that it was dolomite crust, it
22 wasn't, it was naked, it was heated, it wasn't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 heat. Whatever you want to postulate as being
2 a possible scenario that took place at GSI, I
3 could say right now we will find a bounding
4 surrogate to apply to that circumstance.
5 That's all I'm trying to say.

6 You brought up that, well, it was
7 this. No, it was that. Well, whatever it
8 was, there's so much data on airborne dust
9 loading associated with every type of
10 operation you could dream of on uranium that
11 once you tell -- if there's uncertainty as to
12 what exactly -- what was handled and how it
13 was handled, we will then go the next step up
14 the ladder and pick a little worse scenario
15 that we would say plausibly bounds that
16 circumstance. That's why I say it's a
17 tractable problem.

18 MR. RAMSPOTT: John, when I was
19 speaking before when you first entered that
20 thought, there's one thing I got to come back
21 to, and I have to respectfully disagree with
22 you on the size of the uranium object can

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 determine the amount of dust. The example I'm
2 thinking of; you tell me if I'm wrong, you got
3 a slice, you got a dingot. You have a cup of
4 flour, you have a bucket of flour. You drop
5 the cup, you drop the bucket at the same time,
6 where do you get the most dust? Where do you
7 get the most flour?

8 DR. MAURO: It's really the
9 surface area, not the weight.

10 MR. RAMSPOTT: Oh, no, I'm not
11 talking -- I'm talking about surface area.
12 There's more surface in a bucket than there is
13 in a cup.

14 CHAIRMAN ZIEMER: John, we
15 understand that point. I don't think we have
16 to belabor it.

17 I want to make one other comment
18 on this in terms of the idea of looking for a
19 surrogate, that in my mind it does not have to
20 be a process where the uranium is irradiated
21 with a betatron or anything else. I fail to
22 see how that has any impact on what the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 surface properties will be in terms of what
2 can be removed. The amount of atoms changed
3 in that surface is so minute in that
4 activation process, it's virtually impossible
5 to change the properties. So that the idea of
6 how much uranium can be removed is not related
7 to the fact that it's been irradiated with a
8 betatron.

9 DR. McKEEL: Dr. Ziemer, do you
10 agree that a surrogate site would have to have
11 employed ingots and dingots --

12 CHAIRMAN ZIEMER: Oh, sure. Yes.

13 DR. McKEEL: -- and slugs and
14 billets?

15 CHAIRMAN ZIEMER: I think we have
16 to take into consideration both the size and
17 the kinds of surface materials, but not the
18 fact that they had been irradiated, yes.

19 DR. McKEEL: Okay. Well, then
20 let's not forget the size and the volume then.

21 CHAIRMAN ZIEMER: Yes, okay.

22 DR. McKEEL: That's also

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 important.

2 MR. RAMSPOTT: Dr. Ziemer, that's
3 my question: Would you agree that the size --
4 you just said volume. Would you mean size?

5 CHAIRMAN ZIEMER: Well,
6 generically I think --

7 MR. RAMSPOTT: Or quantity.

8 CHAIRMAN ZIEMER: -- we're all in
9 the same boat on that. And generally you're
10 looking for similar kinds of operations. I
11 don't know if we're going to reproduce size
12 exactly, but it would certainly make a
13 difference if you're talking about a few
14 pounds of uranium versus these big ingots and
15 dingots. So, yes, it would help.

16 MR. RAMSPOTT: Doctor, that's the
17 point I was trying to get to. At GSI you
18 don't know what was there.

19 CHAIRMAN ZIEMER: Yes, but you can
20 assume --

21 MR. RAMSPOTT: You don't have any
22 quantities. You don't have any shipping

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 manifests. You know nothing about the uranium
2 that was at GSI in terms of quantity.

3 CHAIRMAN ZIEMER: No, but we do
4 have the possibility of knowing what kind of
5 activities are generated by other facilities
6 that handled similar kinds of materials.

7 MR. RAMSPOTT: My understanding
8 was Weldon Spring was the only one that had
9 dingots. You guys will have to correct me if
10 I'm wrong.

11 CHAIRMAN ZIEMER: No, we don't
12 know. I don't know. Anyway --

13 MR. RAMSPOTT: I had an article
14 that said that.

15 MEMBER POSTON: It's 2:30 and --

16 CHAIRMAN ZIEMER: Yes, we need to
17 --

18 MEMBER POSTON: -- we still
19 haven't had a Work Group discussion.

20 CHAIRMAN ZIEMER: Yes, we need to
21 -- well, we've been discussing, but we --

22 MEMBER POSTON: No, we haven't had

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 a Work Group discussion.

2 CHAIRMAN ZIEMER: We do need to
3 reach a point where we have a recommendation
4 for the Board of some sort for the full Board
5 meeting. That recommendation can take the
6 form of accepting in some way the NIOSH
7 approach. It can take the form of disagreeing
8 with -- what I'm calling the NIOSH approach
9 now I believe is sort of a modified picture of
10 this surrogate thing that you presented in
11 terms of some modifications of the -- looking
12 at which one it is here -- of the criteria 3.

13 And I think -- I believe that's what SC&A was
14 agreeing to as well, that if you could -- it's
15 basically the starting number issue.

16 Now, if you were to make that
17 recommendation, I think what Dr. McKeel says
18 is true, that that would have the effect of
19 extending things, because we're not at a --
20 you know, we don't have something specific
21 then at that point. Although, if the Work
22 Group felt it was a tractable problem, then it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 no longer becomes an SEC issue.

2 MEMBER POSTON: Right.

3 MEMBER MUNN: Well, the key to
4 what we've been discussing boils down I
5 believe to its essence; perhaps it's being
6 missed here by me, is whether we will or will
7 not continue to rely on any information that
8 we have received from the FUSRAP data as to
9 whether or not that is the basis for what John
10 calls the beginning point, or whether we will
11 use -- we will request that NIOSH consider the
12 possibility of using surrogate data in a
13 different manner than has been proposed.

14 CHAIRMAN ZIEMER: Well, I think we
15 need to ask NIOSH directly in terms of what
16 you heard today and what is your position, or
17 are you prepared to say --

18 DR. NETON: Well, this mag
19 fluoride issue with the dingots, I'm not sure
20 where that will take us. In my opinion, if
21 there's a mag fluoride crust on there that has
22 lessened amounts of uranium, the potential for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 inhalation of uranium goes down --

2 CHAIRMAN ZIEMER: Yes.

3 DR. NETON: -- because you
4 diminish the source term. You protect the
5 uranium metal itself. And in my opinion, the
6 bare uranium metal is probably the highest
7 source term potential there is. So I don't
8 know what fruitfulness there would be in
9 researching exposures from dingots. I think
10 you've bounded it using a bare uranium metal
11 source term.

12 DR. MAURO: And, Jim, you know,
13 earlier --

14 CHAIRMAN ZIEMER: What I was
15 asking about -- or I think Wanda was asking --

16 DR. NETON: Hold on. Hold on,
17 John.

18 CHAIRMAN ZIEMER: Hold on, John.
19 I think Wanda was asking about the data from
20 the cleanup, whether --

21 DR. NETON: Well, I think we need
22 to separate two things: One is can we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 reconstruct the dose during the covered
2 period?

3 CHAIRMAN ZIEMER: Right.

4 DR. NETON: I think that needs to
5 be established first. If we can't, that
6 brings another issue into the cleanup period.

7 So I think we need to maybe go in a step-wise
8 fashion and say can we or can we not
9 reconstruct the dose during the contract
10 period? And then we could take on the second
11 issue, which would be can we do anything
12 during the cleanup?

13 John, you were saying something
14 about --

15 DR. MAURO: Well, I was saying
16 that I think the slices are a good example of
17 the dilemma we're dealing with. Once the face
18 of the slices are in all likelihood bare
19 uranium metal, not unlike the bare uranium
20 metal at other places that are handling rods
21 and slugs, not unlike other bare uranium
22 metal. Then you have the edges which may or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 may not -- and I -- it sounds like that some
2 of them may have had some of the dolomite. I
3 think that's magnesium fluoride crust on the
4 outside. And so, I mean, we're dealing with
5 -- that's what we're dealing with.

6 DR. NETON: But, John, that's not
7 radioactive. That's --

8 DR. MAURO: No, no, I'm just about
9 to say that. Now that is -- so, you know, one
10 could argue that the -- that's -- if it's --
11 you know, if you got this crust, you probably
12 reduce the potential. But, no, I hate to be
13 the one to say that, because I'd be just
14 speaking from what I would say first
15 principles, but without any direct knowledge
16 of this.

17 But, so, you know, we have both
18 these circumstances. And if -- you know, and
19 where we are right now is -- whichever the
20 circumstances are, if it is judged at the end
21 of this process that the bare metal has more
22 likelihood to spark and make airborne aerosols

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 than let's say the dolomite crust, well, we
2 have surrogates for that. And if it turns out
3 that a case could be made that, yes, the
4 dolomite crust might be a little more friable,
5 I don't know if it is, but it isn't uranium.
6 It would be a little uranium.

7 So, I mean, you know, at some
8 point you've got to say can we wrap our arms
9 around and wrestle this thing to the ground or
10 not? And I'll say it again: With the data we
11 have out there, you know, we have a way to
12 bound it. It may be simply that let's go with
13 some bare metal that has been handled. And we
14 have examples right now that we've been
15 talking about when we started this
16 conversation as perhaps being the one that is
17 bounding one of those cases. The dolomite
18 issue, I think it's a red herring.

19 DR. NETON: Yes.

20 CHAIRMAN ZIEMER: Other comments?

21 John Poston, no comments?

22 MEMBER POSTON: I think we ought

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to move forward.

2 CHAIRMAN ZIEMER: What does that
3 mean? What are you recommending?

4 MEMBER POSTON: Do what --

5 CHAIRMAN ZIEMER: I'm looking for
6 a recommendation from the Members of --

7 MEMBER POSTON: We have a
8 suggestion to try to bring these two together.

9 MR. RAMSPOTT: Dr. Ziemer?

10 MEMBER POSTON: I know it's extra
11 work, but --

12 CHAIRMAN ZIEMER: Yes?

13 MR. RAMSPOTT: If I can make a
14 quick comment, I'm asking you to please
15 double-check, I believe dingots are a product
16 of Weldon Spring. That would mean 1958. I
17 think ingots from Mallinckrodt Chemical Works
18 are what went to GSI. I think there's a clear
19 distinction. '53 to '58 I believe dingots
20 plus other items -- or I'm sorry, ingots plus
21 other items, slices. But I'm pretty sure --
22 and I've seen the literature and I'll look for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 it again. And I know you guys can find it.
2 You guys know Weldon Spring better than I do.
3 You think that's where the dingots got
4 started.

5 CHAIRMAN ZIEMER: Okay. Thank
6 you.

7 MR. RAMSPOTT: If you're talking
8 about the dolomite or whatever crust and how
9 that changes, you need to take that into
10 consideration, I think. I might be wrong.
11 But I still come back to the quantity. You
12 don't know how many dingots, ingots or slices.

13 CHAIRMAN ZIEMER: Okay.

14 DR. ANIGSTEIN: Yes, according to
15 the Technical Basis Document for Mallinckrodt
16 dingots were made at Mallinckrodt. I didn't
17 say exclusively, but they were made at
18 Mallinckrodt. There's a very detailed
19 description of how it is removed from the
20 bomb, allowed to cool off and how the slag is
21 chipped off and reused, conveyed away on a
22 conveyor belt.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. RAMSPOTT: At Mallinckrodt?

2 DR. ANIGSTEIN: This is at
3 Mallinckrodt. I have not read the Weldon
4 Spring report lately.

5 MR. RAMSPOTT: Okay. I'll
6 double-check my literature and I'd ask you to
7 do the same, if you would, please.

8 CHAIRMAN ZIEMER: Go ahead, John.

9 MEMBER POSTON: I know that SC&A,
10 wherever you are, is supposed to be working
11 for the Board and NIOSH is also -- has their
12 responsibility, but it seems to me that we've
13 got enough discussion and enough interest in
14 doing this that we ought to ask them to get
15 together and provide a solution to this
16 conundrum that we have.

17 CHAIRMAN ZIEMER: A solution in
18 terms of the issue of what would be a suitable
19 surrogate?

20 MEMBER POSTON: Yes.

21 CHAIRMAN ZIEMER: Is that what
22 you --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER POSTON: Yes, exactly.

2 CHAIRMAN ZIEMER: And if we were
3 to ask that, what is your recommendation or
4 what we would recommend to the Board at our
5 next meeting?

6 MEMBER POSTON: Well,
7 unfortunately the Board meeting's coming up
8 here.

9 CHAIRMAN ZIEMER: Because
10 time-wise I -- and keeping in mind there's a
11 holiday coming up and then both groups are
12 getting ready for the meeting itself with
13 other preparations, so this is not something
14 that's likely to occur before our full
15 meeting, I don't believe, if we were to do
16 this. I don't know if you're making that as a
17 motion or just getting the idea on the floor,
18 but --

19 MEMBER POSTON: Well, I will make
20 it then as a motion, but my concern is not
21 whether or not the Board is meeting or not. I
22 mean, I think that we ought to do this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 correctly once and for all and have something
2 that we can stand by and recommend to the
3 Board. And it takes until the next Board
4 meeting in whenever it is, December or
5 whatever, then so be it. But I don't think it
6 makes any sense to rush through something
7 because we have to have something from the
8 Board. We can give them an update on what's
9 going on, tell them about our discussions that
10 we've had, the disagreements and trying to get
11 things together to reach something that's
12 useful. But if you want a motion, I'll --

13 CHAIRMAN ZIEMER: Well, I think we
14 need a motion to get some of these specifics
15 here and get some -- to go on record. So I'm
16 not sure I got the full motion, but I got --

17 MEMBER POSTON: I've moved every
18 part I could. All right. Let me think.

19 MR. ALLEN: If I can just make one
20 comment. I mean, I came into this meeting
21 thinking that the White Paper basically
22 justified that the 198 dpm per cubic meter I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 used was a bounding estimate. And I --
2 speaking for Bob; and he can correct me if I'm
3 wrong, I think he came into the meeting
4 thinking the alternative method was probably
5 the best thing on the table at that point. If
6 I'm not mistaken, the Work Group, at least
7 from the discussion, seems to have shot both
8 of those down.

9 CHAIRMAN ZIEMER: Well, I think
10 the -- I believe that in a sense SC&A has
11 withdrawn that position because of the
12 cleanup.

13 MR. ALLEN: Okay.

14 CHAIRMAN ZIEMER: And I think I
15 heard John Mauro say that.

16 DR. MAURO: If we stipulate -- and
17 I use the term "stipulate" -- simply means,
18 you know, that that being the case, I think we
19 can't use the model.

20 CHAIRMAN ZIEMER: Yes, that is --

21 DR. MAURO: So, I mean, I don't
22 think anyone would disagree with that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER BEACH: Well, I don't know
2 if Bob agrees 100 percent with that.

3 DR. MAURO: Well, no, I think if
4 he -- Bob, would you agree that if it turns
5 out there wasn't --

6 DR. ANIGSTEIN: If that were the
7 case -- we just heard -- it was just in the
8 past few days that we heard about the cleanup
9 at the old betatron. I certainly would not --
10 if there had been evidence of cleanup at the
11 old betatron, then we certainly wouldn't have
12 gone down the path we did.

13 DR. MAURO: That's all I --

14 DR. ANIGSTEIN: I think that to
15 make such a radical abrupt change in direction
16 I think that this cleanup needs to be looked
17 into, just like -- I mean, we spent -- and I
18 guess I should say I -- with all due modesty,
19 I can say I spent a good portion of the last
20 five years tracking down what went on at GSI,
21 and I think we got a pretty good picture.
22 Speaking -- I spoke to a number -- I mean, I'm

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 not talking about this particular thing. I'm
2 just saying in general I spoke with a number
3 of people, two of whom are no longer with us,
4 who gave different views, not always the same,
5 not always identical. But you talk to enough
6 people over a long enough period of time, you
7 get a pretty fair picture. You get to the
8 point where you're 90 percent sure I think
9 this is most likely what happened, even though
10 there may be one or two disparate opinions.

11 And here we have not gone down
12 that route. We have just been shown this
13 information, been -- not shown, been told this
14 information very, very recently, had not had a
15 chance to look into it, and I think it's a
16 little fast. Because as I said, my problem is
17 not that I take ownership of my model, but
18 that to say there was a -- this -- I said this
19 earlier, that it was this aggressive cleanup
20 just does not seem to be consistent with any
21 model and the ORISE survey data, the
22 independent verification data. It just --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 it's simply -- when things don't add up, one
2 has to look at the information and say which
3 of it -- you know, how do we deal with it?
4 And we have not had the opportunity to do that
5 here.

6 Here is a sudden new piece of
7 information or a report, a secondhand report
8 which is given to us which we have not had a
9 chance to investigate, to consider, just like
10 we do all the other information, the
11 plausibility, the correctness of it. So I
12 would not want to be that hasty, because the
13 fact is that this model or some other -- you
14 know, I'm open to suggestions. There may be
15 another approach. There may be some other
16 assumptions. There may be some modifications
17 possible to it. But a model that is based on
18 site data gets away from all of this -- all of
19 these questions of how many tons of uranium
20 were there? What was the exact shape? What
21 was the exact -- all of that is -- all of
22 these questions are eliminated.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 All we need to know is what was
2 the concentration at some period of time and
3 what was the time history, the temporal
4 history of how much was done in each year?
5 Because if it was all done in the last year,
6 it would be very different than if it was all
7 done the first year. But we know how with a
8 reasonable -- as well as we can do, with a
9 reasonable degree of assurance how it was
10 spread out over the various years. And the
11 idea of the model solves some of these
12 dilemmas.

13 And the fact that the parameters
14 can be put together to give us a ventilation
15 rate which is plausible, I mean, it's not that
16 it's the answer. To my mind it's a plausible
17 upper bound. I think it's on the high side.
18 I think it's probably likely higher than what
19 was experienced, but it's a plausible upper
20 bound that if you adopt something like this or
21 some variant of that, you're not going to
22 appreciably underestimate anyone's dose.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRMAN ZIEMER: So, John, I
2 think your colleague is saying that he's a
3 little nervous about accepting that right
4 away.

5 DR. MAURO: Oh, and I understand
6 exactly where he's coming from. I hate to
7 abandon a perfectly good model prematurely,
8 but you know, it sounded like, you know, if
9 we're going to -- now we have two --
10 unfortunately, Paul, we have two paths. One
11 is can we -- in other words, given that NIOSH
12 would say, well, perhaps we could find a
13 better surrogate. And I'm not sure if they're
14 ready to say that. But if they were, then
15 we'd have to go down that road and find a
16 better surrogate. And that was where we were
17 sort of headed.

18 However, listen, if we're not --
19 all I said is if you want -- if you stipulate
20 and say, no, we're going to accept it as true
21 there was an aggressive cleanup, well, of
22 course we have to abandon our model. But Bob

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 brings up a good point, the point being why
2 are we ready to abandon this model based on
3 what we just heard today? You know, maybe
4 we're abandoning it prematurely. This is
5 really a call that the Work Group has to make,
6 you know, to pursue both lines a little
7 further. You know, are both worth pursuing,
8 not just the surrogate data question?

9 CHAIRMAN ZIEMER: I think the Work
10 Group has already agreed that they were
11 accepting that the cleanup occurred.

12 DR. MAURO: Okay.

13 CHAIRMAN ZIEMER: I'll ask again.
14 John and Josie?

15 MEMBER BEACH: Yes.

16 CHAIRMAN ZIEMER: I think Wanda
17 said she accepted that and I do. So --

18 MEMBER POSTON: Accepting what?

19 CHAIRMAN ZIEMER: We're accepting
20 that the cleanup occurred.

21 MEMBER POSTON: Oh, okay. I see.

22 All right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRMAN ZIEMER: I mean, one
2 might get into details on how aggressive it
3 was and so on, but I think on that basis we're
4 going to proceed.

5 MR. RAMSPOTT: Dr. Ziemer, could I
6 add something on cleanup?

7 CHAIRMAN ZIEMER: No, John, we're
8 trying to come to closure. We've already
9 accepted that it's occurred, so --

10 MR. RAMSPOTT: I just wanted to
11 correct Dr. Anigstein -- a few months ago --
12 I'm going to read the transcript note. I'm
13 looking at it.

14 CHAIRMAN ZIEMER: No, John, we --

15 MR. RAMSPOTT: Yes?

16 CHAIRMAN ZIEMER: You don't need
17 to do that. Okay?

18 MR. RAMSPOTT: All right.

19 CHAIRMAN ZIEMER: Yes.

20 MR. RAMSPOTT: Well, it's there.

21 CHAIRMAN ZIEMER: Okay. So I
22 would like to get something specific from the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Subcommittee on a recommendation for the
2 Board. If you want me to recommend that we
3 ask NIOSH and SC&A to try to collaborate on a
4 better surrogate or a more appropriate
5 surrogate, we can do that. If you want to
6 recommend something else, we can do that.

7 MEMBER BEACH: Paul, let's be
8 clear that surrogate data is for what time
9 period?

10 CHAIRMAN ZIEMER: Well, it would
11 first of all have to cover the main --

12 MEMBER BEACH: The main time
13 period?

14 CHAIRMAN ZIEMER: -- the covered
15 period because there is a contamination
16 component there.

17 MEMBER BEACH: Right.

18 CHAIRMAN ZIEMER: I mean --

19 MEMBER BEACH: So it would --

20 CHAIRMAN ZIEMER: -- previously we
21 had already in a sense recommended that we go
22 ahead, or that we --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MEMBER BEACH: Right.

2 CHAIRMAN ZIEMER: -- recommended
3 to the Board that the covered period -- that
4 we accept the NIOSH approach. That was before
5 this whole issue came up. But this issue
6 covers both periods, the issue of surrogate
7 data. So we would first have to establish it
8 for the covered period. If we can't for the
9 covered period, then that already has
10 implications for the residual period, I guess.

11 Yes. So, I think it would have to be both.
12 It basically, you know, in my mind reopens the
13 whole issue of the earlier period in terms of
14 a recommendation, because we can't recommend
15 to the Board that the SEC be denied for the
16 earlier period if we have this open issue on
17 that component. So I think it's both. Do you
18 agree, Jim?

19 DR. NETON: Yes, any model that
20 would be developed for exposure handling the
21 uranium would ultimately end up being the
22 basis for some model of the residual period --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRMAN ZIEMER: Whether it was
2 -- yes.

3 DR. NETON: There would be no more
4 handling of the uranium material because
5 that's all gone, but it would --

6 CHAIRMAN ZIEMER: It would be the
7 start of the --

8 DR. NETON: -- be the basis for
9 the starting point for the resuspension of
10 material in the building.

11 CHAIRMAN ZIEMER: Right. So you
12 heard sort of a vague suggestion from John. I
13 say sort of vague because --

14 MEMBER POSTON: Yes, I'm not quite
15 clear. I don't think we've ever done that,
16 this joint approach before. I'm a little --

17 CHAIRMAN ZIEMER: I think you're
18 -- are you thinking of it more like a
19 technical meeting, or -- I mean, why would
20 they meet apart from the Work Group?

21 MEMBER POSTON: Well, I want to
22 understand a little bit better what is the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 most appropriate surrogate data to use. I
2 want to understand what model is going to be
3 used. You know, we have two models basically.
4 We have David's model and Bob's model. And
5 maybe --

6 CHAIRMAN ZIEMER: Well, Bob's
7 model will be off the table --

8 MEMBER POSTON: Yes, all right.

9 CHAIRMAN ZIEMER: -- if we would
10 agree that the cleanup occurred --

11 MEMBER POSTON: Yes. Okay.

12 CHAIRMAN ZIEMER: -- which I think
13 we've agreed to.

14 MEMBER POSTON: I understand that,
15 but there may be components of Bob's model
16 that may be --

17 DR. NETON: Well, I think what
18 John was saying earlier, we have to pick a
19 starting point. We have to decide is there
20 some data available that can be used as a
21 starting point to bound the exposure of the
22 workers based on whatever source term type

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 material was there.

2 MEMBER POSTON: Yes, I agree.

3 DR. NETON: And the rest will fall
4 into place after that. The specifics of the
5 -- like the -- as Bob was talking about, the
6 resuspension model and everything will just
7 fall out from that. But I think it would be
8 -- SC&A and NIOSH would need to agree or
9 should agree at some point that there are data
10 available, surrogate data available that could
11 be used, and what is that? What's the
12 starting point?

13 CHAIRMAN ZIEMER: Well, let me
14 propose something to the Work Group. At this
15 point I guess I would report to the Board two
16 things: One is that SC&A's review of the
17 surrogate data issue was that they do not
18 believe that NIOSH met the surrogate data
19 requirement, at least on three or four of
20 those issues, certainly on three for sure,
21 maybe on the fourth, number one.

22 DR. NETON: For the specific value

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 we propose.

2 CHAIRMAN ZIEMER: Right. Number
3 two, that we have an extensive discussion
4 about what would constitute an appropriate
5 surrogate, and that in the process of the
6 review and the response by SC&A some
7 additional potential surrogates have arisen
8 that need to be looked and that this covers
9 both periods, the covered period and the
10 residual period, and that we would like NIOSH
11 to -- I think the ball's in NIOSH's court then
12 to specifically tell us whether there is a
13 different surrogate group that they can
14 recommend or not. And once that's done, then
15 I think SC&A would have to come aboard also
16 and say, okay, we'll look at that, too, then.

17 But I think we've all --

18 DR. ANIGSTEIN: I mean, if we had
19 -- are you saying --

20 CHAIRMAN ZIEMER: I don't think
21 you do it in -- I think NIOSH does it and --

22 DR. ANIGSTEIN: Sure.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRMAN ZIEMER: -- then --

2 DR. ANIGSTEIN: And then we would
3 then go back and review it against the Board's
4 criteria.

5 CHAIRMAN ZIEMER: Which means this
6 is going to extend this out, but it does -- it
7 reopens everything for both the covered period
8 and the extended period.

9 MEMBER BEACH: Or we could go to
10 the Board and just suggest that we vote on an
11 SEC for the early period, which would be --

12 CHAIRMAN ZIEMER: Right, we --

13 MEMBER BEACH: -- my vote.

14 CHAIRMAN ZIEMER: We can --

15 MEMBER BEACH: Because I think
16 we've gone over and over this.

17 CHAIRMAN ZIEMER: Right.

18 MEMBER BEACH: So --

19 CHAIRMAN ZIEMER: And so, I would
20 simply report that to the Board, that that's
21 what SC&A -- that's what their report was,
22 that this is a possibility, or that the Board

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 can decide if they want to go ahead and vote
2 now on the issues. And I don't know if this
3 Board right now, if you want to make a
4 specific recommendation or simply have me
5 report that. And certainly at the meeting if
6 -- and Josie is -- you can certainly make the
7 motion. I mean, I don't personally object to
8 having the motion made, if you want to make it
9 at the meeting.

10 MEMBER BEACH: Right.

11 CHAIRMAN ZIEMER: Or I'll simply
12 report that, unless you all want to vote here.
13 We can take a vote here on whether or not --
14 well, number one, is everybody comfortable if
15 I report it that way?

16 MEMBER MUNN: Yes.

17 CHAIRMAN ZIEMER: Because I'll
18 just report what we did.

19 MEMBER MUNN: Yes.

20 CHAIRMAN ZIEMER: Number two, to
21 give the Board -- say you have an option. If
22 you would like NIOSH to proceed and focus on a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 better surrogate, then you can say so. Or you
2 can move to close this and vote for --

3 MEMBER MUNN: And I would prefer
4 not to vote it, because I understand what
5 you're saying, Josie, but by the same token
6 what we did here today was to agree that
7 reliance on the FUSRAP data was not going to
8 be as desirable as we had originally intended
9 because of the cleanup, the magnitude --

10 MEMBER BEACH: The potential
11 cleanup.

12 MEMBER MUNN: -- of the cleanup
13 activities that went on --

14 CHAIRMAN ZIEMER: Which was new
15 information.

16 MEMBER MUNN: -- in between that
17 time; this was new information, and has fallen
18 out of the activities that are going on and
19 the exchange of information that's occurred
20 between NIOSH and SC&A during the last
21 activity period.

22 MEMBER BEACH: Well, and on top of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that I didn't agree with using 1993 data to
2 back extrapolate it --

3 CHAIRMAN ZIEMER: Anyway --

4 MEMBER MUNN: Yes.

5 MEMBER BEACH: -- anyway.

6 MEMBER MUNN: Yes, so --

7 MEMBER BEACH: So, regardless.

8 MEMBER MUNN: -- that is now -- as
9 I understand it generally, based on what the
10 conversation has been here, has been set
11 aside.

12 The position that I was trying to
13 make and the few comments that I made was that
14 we know an awful lot about the uranium metal
15 and how it operates and all of the proposed
16 concerns that people have with regard to what
17 transpired in this particular site. We know a
18 great deal that has -- we have not relied upon
19 because we have been looking in a different
20 direction to extrapolate information that we
21 did have.

22 And now we're talking about going

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to look specifically for the kinds of
2 surrogate information that is on record for
3 sites that have handled this same type of
4 uranium over a period of something like 50
5 years. Knowing that information creates a
6 different basis for making the decision. And
7 until we have specifically requested NIOSH to
8 go that direction, we don't have that
9 information. We have it, but it has not been
10 finalized and it has not been placed before us
11 in a rigorous manner. I would prefer to have
12 that done, because we do know a lot about
13 uranium and we can do this. It can be done.

14 CHAIRMAN ZIEMER: Okay. Other
15 comments? John, are you okay with that as a
16 general report?

17 MEMBER POSTON: Yes, I agree with
18 Wanda. Wanda said it --

19 CHAIRMAN ZIEMER: And, Josie?

20 MEMBER BEACH: I still say that we
21 should bring it to the Board also with the
22 third option of voting for an SEC.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRMAN ZIEMER: Yes, I would be
2 glad to present that as an option. I mean, I
3 understand that I'm going to report what we
4 did here, indicate that as an option. I think
5 the options are to proceed to have SC&A --
6 NIOSH -- yes, I know, hard to tell them apart.

7 Yes, right. Have NIOSH proceed and see if
8 they can identify a more suitable surrogate
9 data set. But if the Board wishes, it can
10 proceed to vote yea or nay, up or down,
11 without going any further.

12 MEMBER BEACH: So will you go
13 further from now, or will you wait until after
14 the Board meeting, Dave, just as a curiosity?

15 MR. ALLEN: I'll start now. I
16 don't think it will -- you'll have anything
17 before the Board meeting.

18 MEMBER BEACH: Okay.

19 CHAIRMAN ZIEMER: Yes, you're not
20 going to have that much time with other
21 things --

22 MR. ALLEN: I've got other Work

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Groups, too, you know?

2 DR. ANIGSTEIN: And we certainly
3 won't have time to review it.

4 CHAIRMAN ZIEMER: Let's see. So
5 we're all agreed to proceed on that basis?

6 MEMBER POSTON: Yes.

7 MEMBER MUNN: I think that's
8 unfortunate, personally, but then the Board
9 voted with incomplete information before.

10 MR. KATZ: So is there a need,
11 Paul, for -- so that lays out a presentation
12 by you --

13 CHAIRMAN ZIEMER: Right.

14 MR. KATZ: -- to summarize what's
15 been done today.

16 CHAIRMAN ZIEMER: Right.

17 MR. KATZ: You need -- I mean,
18 right now we have lined up things as we did
19 with the last Board meeting where SC&A as well
20 as DCAS had opportunities to present, as well
21 as you. Do you want that supporting them at
22 this --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRMAN ZIEMER: Well, I will
2 summarize what we did. I'm trying to think
3 whether or not we need any further
4 presentations.

5 MEMBER MUNN: We gave a pretty
6 complete presentation last Board meeting.

7 CHAIRMAN ZIEMER: Yes, I think
8 they can be available for questions. I don't
9 know -- and I think the Board has all been
10 kept apprised of all the documents, including
11 the petitioners' and our documents as well.
12 So the Board should have a pretty complete set
13 of --

14 DR. ANIGSTEIN: So, we don't need
15 to go.

16 MR. KATZ: No, no, I think you
17 need to be available at least --

18 CHAIRMAN ZIEMER: At least by
19 phone.

20 MR. KATZ: -- by phone. You need
21 to be available to answer the questions of the
22 Board.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIR ZIEMER: But I mean I don't
2 think you need to make a presentation.

3 MR. KATZ: You don't need to make
4 -- that's what I was trying to get clear. So
5 if you don't need -- you don't need to make a
6 presentation and --

7 DR. ANIGSTEIN: I see. But I
8 already have my ticket, so should I go, or
9 just cash it in and --

10 MEMBER POSTON: Sure. Good
11 skiing.

12 DR. ANIGSTEIN: I think I got to
13 go.

14 MR. KATZ: You can choose.

15 DR. ANIGSTEIN: Okay.

16 MR. KATZ: It just depends on
17 whether you're comfortable answering questions
18 by phone. But you're not giving a
19 presentation.

20 DR. ANIGSTEIN: Yes, okay.

21 MR. KATZ: Okay?

22 CHAIRMAN ZIEMER: Now, the other

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 thing we said we would do as we have time, and
2 we're already at the 3:00 hour, I do want to
3 point out just before we leave as far as the
4 matrix or the matrices; there are two of them,
5 but the SEC --

6 MEMBER BEACH: The last day was
7 June 1st, correct, on that one? Yes.

8 CHAIRMAN ZIEMER: June 1st was the
9 last update. And just very quickly, I'm
10 telling you you can look -- if you have your
11 report, it's on page 45 of the status summary.

12 Issue 1 had been previously closed. Issue 2
13 actually -- and all of these are -- the open
14 ones were all transferred to the Appendix BB
15 matrix, but they don't show up specifically on
16 Bob's latest version, which is the July 28th
17 version. They don't show up there. But I'm
18 just telling you that issue 2 of the SEC
19 matrix, as far as I can tell, is part of issue
20 1 on the other matrix. So if you want to make
21 a note of that and --

22 MEMBER BEACH: Well, if you go

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 into the body of these, the end is the ones
2 that he transferred. Like issue 2, it says on
3 3/28/12, transfer to Appendix BB.

4 CHAIRMAN ZIEMER: Right, but --

5 MEMBER BEACH: He didn't write it
6 on the summary though.

7 CHAIRMAN ZIEMER: It doesn't show
8 up on Appendix BB.

9 MEMBER BEACH: Right.

10 CHAIRMAN ZIEMER: But I'm telling
11 you that it --

12 MEMBER BEACH: So you're going to
13 ask --

14 CHAIRMAN ZIEMER: -- it's covered
15 by issue 1 of Appendix BB.

16 MEMBER BEACH: So are you going to
17 ask him to converge these?

18 CHAIRMAN ZIEMER: Well, yes, I'll
19 make up a chart to do that.

20 Issue 3 we closed. Issue 4 is
21 closed. Issue 5 is closed. Issue 6 really
22 becomes part of issue 11 of Appendix BB. But

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 in essence the recommendation was to transfer
2 it. And we hadn't officially closed it, but
3 it, you know --

4 MEMBER BEACH: And go back to 3.
5 Three was actually transferred to BB, not
6 closed.

7 CHAIRMAN ZIEMER: Well it says
8 here it was recommended moving it and closing
9 it.

10 MEMBER BEACH: It was recommended,
11 but we didn't actually officially do that.

12 CHAIRMAN ZIEMER: Oh, we may have
13 to actually do that. I thought in doing the
14 recommendation that we were closing it, but we
15 can formalize that.

16 MEMBER BEACH: Not to confuse this
17 anymore than it is.

18 CHAIRMAN ZIEMER: Right. We have
19 to do the same on issue 6.

20 MEMBER BEACH: Yes.

21 CHAIRMAN ZIEMER: Issue 7, it
22 shows it in progress. Essentially we closed

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 it, but NIOSH has to actually show the update
2 in their new version before we officially
3 close that.

4 Issue 8 was recommended to be
5 closed, but right now it's simply transferred.

6 It's one of those again transferred and had
7 been recommended that it was closed.

8 And issue 9 as far as I can see
9 becomes part of issue 6, and that should be
10 closed as well.

11 The other thing I'll just point
12 out, if you look at the SEC findings, there
13 were no specific findings on the residual
14 period.

15 MR. KATZ: Right.

16 CHAIRMAN ZIEMER: So all of these
17 findings have to do with early period. But
18 there are still some items open on TBD-6000
19 that I think we can close most of. Some of
20 them are fairly straightforward, but to some
21 extent it will depend on our time. We need to
22 focus on this SEC, but I just wanted to make

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 sure that we're on the same page on the issues
2 matrix. But even though they showed
3 transferred, they haven't shown up as specific
4 separate items.

5 Okay. Any other questions before
6 we leave?

7 MR. KATZ: So, Paul, do you want
8 SC&A to amend the matrix accordingly, or --

9 CHAIRMAN ZIEMER: I think they
10 should amend it, but I want to make sure -- I
11 think I'll interact -- I think I'll prepare a
12 little chart and what I --

13 MR. KATZ: Yes, I'll wait for you
14 to have -- for your chart.

15 CHAIRMAN ZIEMER: Right.

16 MR. KATZ: And then I'll send that
17 along to SC&A.

18 CHAIRMAN ZIEMER: This is where I
19 think they go and make sure we're on the same
20 page.

21 MEMBER MUNN: It would be helpful
22 --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRMAN ZIEMER: And then I'll
2 ask them to update it.

3 MR. KATZ: That sounds good.

4 MEMBER MUNN: No, I thought it
5 would be helpful, but this is getting awfully
6 cumbersome.

7 CHAIRMAN ZIEMER: Right. Well, see
8 there's a lot of these findings that look
9 similar but they're worded slightly
10 differently. So there's a fair -- there's
11 always overlap between SEC issues and TIB
12 issues.

13 Okay. With that we stand
14 adjourned. Thank you. Thank you everyone on
15 the phone for your input today and we'll hope
16 to hear from you all at the full Board
17 meeting. You'll have an opportunity again to
18 have input there.

19 MEMBER MUNN: Oh, you're not going
20 to make an effort to schedule another meeting
21 at all?

22 CHAIRMAN ZIEMER: Well, yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER MUNN: I mean, not knowing
2 what we're waiting for.

3 MR. KATZ: I think it makes sense
4 to wait.

5 CHAIRMAN ZIEMER: I think we need
6 to know where -- yes, what --

7 MEMBER MUNN: Who's on first.

8 CHAIRMAN ZIEMER: -- action the
9 Board takes, number one. And then we'll find
10 out what NIOSH's stand on it is.

11 MEMBER MUNN: Timeline for that,
12 yes.

13 CHAIRMAN ZIEMER: I think we're
14 going to be talking probably into November
15 before we --

16 MEMBER MUNN: I would imagine so.

17 CHAIRMAN ZIEMER: Yes, we're
18 adjourned.

19 (Whereupon, the meeting was
20 adjourned at 3:09 p.m.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com