

U.S. DEPARTMENT OF HEALTH AND HUMAN SERVICES
CENTERS FOR DISEASE CONTROL
NATIONAL INSTITUTE FOR
OCCUPATIONAL SAFETY AND HEALTH

+ + + + +

ADVISORY BOARD ON RADIATION AND
WORKER HEALTH

+ + + + +

WORK GROUP ON LINDE

+ + + + +

THURSDAY
OCTOBER 14, 2010

+ + + + +

The Working Group convened in the
Zurich Room of the Cincinnati Airport
Marriott, 2395 Progress Drive, Hebron,
Kentucky, at 9:00 a.m., Genevieve S. Roessler,
Chair, presiding.

PRESENT:

GENEVIEVE S. ROESSLER, Chair
JOSIE BEACH, Member
MICHAEL H. GIBSON, Member
JAMES E. LOCKEY, Member

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

ALSO PRESENT:

TED KATZ, Designated Federal Official
R. WILLIAM FIELD, Consultant to the WG *

NANCY ADAMS, NIOSH Contractor*
DAVE ALLEN, DCAS
ROBERT ANIGSTEIN, SC&A
ANTOINETTE BONSIGNORE, Linde Ceramics
Petitioner*
CHRIS CRAWFORD, DCAS
MONICA HARRISON-MAPLES, ORAU Team*
STUART HINNEFELD, DCAS*
JENNY LIN, HHS
JOHN MAURO, SC&A
JAMES NETON, DCAS
STEVE OSTROW, SC&A
MICHAEL RAFKY, HHS*
MUTTY SHARFI, ORAU Team*

*Participating via telephone

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 P-R-O-C-E-E-D-I-N-G-S

2 (9:00 a.m.)

3 MR. KATZ: Good morning everyone in
4 the room and on the line. This is the
5 Advisory Board on Radiation and Worker Health,
6 it is the Linde Working Group. My name is Ted
7 Katz, I am the Designated Federal Official for
8 the Advisory Board and we are about to get
9 going. Before we go on the record we will
10 begin with roll call. Starting with Board
11 Members in the room.

12 CHAIR ROESSLER: I am Gen
13 Roessler, Member of the Board and Chair of the
14 Linde Working Group.

15 MEMBER BEACH: Josie Beach, Board
16 Member, Work Group Member and no conflict.

17 MR. KATZ: Thank you, please
18 address conflicts.

19 CHAIR ROESSLER: No conflict from
20 Gen Roessler.

21 MEMBER LOCKEY: Jim Lockey, Board
22 Member, Working Group Member, no conflict.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. KATZ: And on the line, Board
2 Members? Mike Gibson are you on the line?
3 And were you expecting Bill Field?

4 CHAIR ROESSLER: Yes. The line
5 sounds pretty dead to me.

6 MR. KATZ: Bill, are you on the
7 line? There are at least eight people on the
8 line. Well let's go through more roll call
9 and we will return to Board Members.
10 NIOSH-ORAU Team in the room?

11 DR. NETON: Jim Neton, NIOSH, no
12 conflict.

13 MR. CRAWFORD: Chris Crawford,
14 NIOSH, no conflict.

15 MR. ALLEN: Dave Allen, NIOSH, no
16 conflict.

17 MR. KATZ: And any NIOSH-ORAU Team
18 on the line?

19 MR. HINNEFELD: Stu Hinnefeld, no
20 conflict.

21 MR. SHARFI: Mutty Sharfi, ORAU
22 Team no conflict.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MS. HARRISON-MAPLES: Monica
2 Harrison- Maples, ORAU Team. No conflict.

3 MR. KATZ: Very good, thank you.
4 Welcome all, and SC&A in the room?

5 DR. MAURO: John Mauro, SC&A, no
6 conflict.

7 DR. OSTROW: Steve Ostrow, SC&A,
8 no conflict.

9 DR. ANIGSTEIN: Bob Anigstein,
10 SC&A, no conflict.

11 MR. KATZ: And any SC&A members on
12 the line? None expected. Okay. How about HHS
13 and other federal officials or contractors to
14 the feds in the room?

15 MS. LIN: Jenny Lin, HHS.

16 MR. KATZ: And on the line?

17 MR. RAFKY: Michael Rafky, HHS

18 MS. ADAMS: Nancy Adams, NIOSH
19 contractor.

20 MR. KATZ: Any others? Okay, let
21 me return before I get to public members,
22 Board Members. Has Mike Gibson joined us on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 the line? Or how about Bill Field on the
2 line? Nancy, or Zaida, are you on the line?

3 MS. ADAMS: I am here, I can try to
4 call them.

5 MR. KATZ: Can you try to call
6 Mike and Bill?

7 MS. ADAMS: Sure.

8 MR. KATZ: Just remind them about
9 this call.

10 MR. ADAMS: Okay.

11 MR. KATZ: Thank you. Okay, then
12 let's to on the line. There are no members of
13 the public in the room, but on the line,
14 members of the public.

15 MS. BONSIGNORE: Antoinette
16 Bonsignore, Linde petitioner.

17 MR. KATZ: Welcome Antoinette.

18 MS. BONSIGNORE: Thank you.

19 MR. KATZ: Okay, do we want to
20 give it a minute for Mike and Bill or do you
21 want to get started Gen?

22 CHAIR ROESSLER: I would think

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that they would be on.

2 MR. KATZ: Zaida is calling them,
3 if you pop them an email -- I can do that.

4 CHAIR ROESSLER: I just sent one
5 to Bill. It would be nice to have Mike on.

6 MR. KATZ: Yes. Let me check my
7 emails and see if I didn't get a message from
8 anyone. I have got a message from Mike 8:56
9 saying, "On the way. Sitting in traffic." So
10 that is Mike. He is driving here, sometimes
11 traffic is pretty bad where he is. So Mike is
12 on the way.

13 CHAIR ROESSLER: I think we ought
14 to wait a little bit and see if he arrives and
15 then if he doesn't, perhaps we should start
16 with DCAS's report which he has received.

17 MR. KATZ: Yes he has received it,
18 why don't we try to give him another -- let's
19 give him at least until ten after and then go
20 from there.

21 CHAIR ROESSLER: Does anybody have
22 a really tight schedule today? If not, why

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 don't we give him until 15 after? We will
2 start when he gets here.

3 MR. KATZ: Okay. So I will just go
4 ahead and put the phone on mute and we will go
5 ahead and pick at quarter after, unless Mike
6 pops in sooner.

7 (Whereupon, the above-entitled
8 matter went off the record at 9:08 a.m. and
9 resumed at 9:13 a.m.)

10 MR. KATZ: Gen, it is your agenda,
11 and let me just remind everyone on the line to
12 just mute your phones, except when you are
13 speaking to the group, and if you don't have a
14 mute button use *6 and to unmute your phone
15 use *6 again. Thank you.

16 CHAIR ROESSLER: Good morning,
17 everyone. This is the Linde Ceramics Work
18 Group meeting. Just as a reminder, we are
19 discussing SEC 107, which is the Linde
20 renovation and residual period, January 1st,
21 1954 to July 31st, 2006.

22 We have had Work Group meetings

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 since -- well, just over the past year, -- we
2 started September 2009 -- NIOSH in their first
3 report to us stated that they found that
4 available monitoring records, process
5 descriptions, and source term data were
6 available in adequately complete dose
7 reconstruction for this time period.

8 SC&A has reviewed. And we have
9 gone back and forth with various papers and
10 discussions between NIOSH and SC&A on the Work
11 Group. SC&A has accepted NIOSH's proposal for
12 bounding the doses in the Linde buildings,
13 including radon.

14 The final issue that we're
15 discussing has to do with radon doses in the
16 tunnels. And at our last meeting, NIOSH said
17 that they could better come up with a bounding
18 method for doing radon doses in the tunnels by
19 doing some diffusion calculations. And we had
20 also talked about some possible measurements.

21 So we got a White Paper from NIOSH
22 everybody has. And we also have a response

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 from SC&A on these diffusion equations.

2 I'll mention, by the way, that I
3 invited Bill Field. Dr. Field is a Board
4 Member. He's a radon expert, internationally
5 and nationally known. And I thought his
6 participation in the discussion would be
7 helpful. And he is now on the phone.

8 Unfortunately, Bill, you probably
9 didn't get SC&A's response to NIOSH's White
10 Paper until this morning. And that's my fault
11 because I didn't get it until this morning. I
12 apparently didn't go on -- no. I didn't go on
13 my CDC email. And so I didn't see it until
14 this morning. So I'm sorry about that, Bill,
15 if you're just now looking at it.

16 MEMBER FIELD: Right. I just
17 received it as well.

18 CHAIR ROESSLER: Perhaps as I
19 stammer around here, you can take a quick look
20 at it. And then we'll be ready to go by the
21 time they make their presentation.

22 So we'll start then, with DCAS'

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 White Paper. And I believe Dave Allen is
2 going to be the one making a summary of your
3 paper?

4 MR. ALLEN: Yes. I don't know how
5 summarized you want this. So I'll start going
6 through. And if you want less detail or more
7 detail, just let me know. And I'll provide
8 it.

9 The White Paper was an attempt to
10 model the radon in the utility tunnels at
11 Linde. And there were two primary sources of
12 radon that we can think of for the tunnels,
13 one being radium contamination inside the
14 tunnel on the various surfaces and the second
15 being radon-diffused -- or radium
16 contamination in the soils around the tunnels
17 creating radon gas and that diffusing into the
18 tunnel.

19 So the paper was broken up into
20 two parts to discuss each of those mechanisms,
21 the first one being the simpler one to model,
22 which is the radium contamination in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 tunnel surfaces. And the theory behind that
2 one was simply that radium decays produces a
3 radon atom. And that decay gives us our
4 introduction rate.

5 And the removal mechanisms are the
6 decay of radon itself as long -- also the
7 ventilation of the air in the tunnel. And
8 it's a relatively simple equation to put the
9 three together and determine what the
10 equilibrium value would be. And that was done
11 in the first part of this paper.

12 The parameters used are listed in
13 the first table on page 3. And, with those
14 parameters, the value came out to be
15 approximately 18 picocuries per liter from
16 that mechanism.

17 The second part was a little more
18 complicated. And that is the diffusion of
19 radon in the soils leaking into the tunnels.
20 And that simply started with a standard
21 diffusion type of theory.

22 Actually, the first couple of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 equations start with the same equations I was
2 using for the part one, which is the two
3 removal mechanisms from the tunnel, being the
4 radon decay and the ventilation, but this
5 time, instead of the introduction mechanism
6 being decay of radium that is in the tunnel,
7 it was simply an introduction rate.

8 And then the paper moves on to
9 show the introduction rate being the diffusion
10 equation or fairly standard diffusion theory,
11 the equations of which are in here and I don't
12 think you really want me to go through the
13 equation there or anything.

14 But once it's set up with the
15 production mechanism and the two removal
16 mechanisms, it's not that difficult to solve
17 this. It turns out to be a second order
18 differential equation. It's not too difficult
19 to solve it in a general form. We tried to
20 simplify the model and solve it in a
21 one-dimensional form.

22 And a solution to that is equation

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 9 on page 5. And the solution to any second
2 order differential equation is going to
3 contain two constants, the value of which has
4 to be determined from boundary conditions.
5 And that is one of the tougher parts of this
6 type of situation.

7 So, starting on page 6, I
8 discussed the boundary conditions. And I
9 developed three different sets of boundary
10 conditions. The one that was consistent with
11 all three was to assume a continuity condition
12 between the soil and the tunnel, essentially
13 that the radon at the tunnel-soil interface
14 was the same in the soil as it was in the
15 tunnel. And that is, like I said, just a
16 continuity condition. You can't have a
17 drastic difference right there.

18 As far as the rest of the
19 conditions, the three sets of boundaries
20 conditions that I derived or came up with were
21 I called large source, small source, and
22 symmetrical. And the theory behind the large

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 source was essentially that the source of
2 radium contamination in the soil is large
3 enough, that area is large enough, that the --
4 in the center, the radon reaches a theoretical
5 maximum that you would reach with no removal
6 mechanisms other than decay.

7 And the second boundary condition
8 was small source. That one was essentially
9 that the source is so small that towards the
10 opposite end of the boundary, the radon
11 concentration in the soil would reach zero.

12 And I developed a third one, kind
13 of similar to that small source, that
14 basically said, instead of zero, it would be
15 the same concentration as the tunnel. And
16 that is the condition I used for all three,
17 that continuity condition. And, therefore, it
18 essentially made it a symmetrical gradient for
19 the radon concentration in the soil.

20 In the attachments I won't go into
21 here. I went through the math to solve the
22 constants and the equation based on those

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 three boundary conditions. And then starting
2 on page 8 is where I have analyzed the three
3 various parameters of various sizes of sources
4 to try to determine which is most legitimate
5 or, you know, if there is any one that is
6 favorable than the others. What we found is
7 that they all three give very similar results
8 for the conditions they apply to.

9 Page 9 there is a draft that shows
10 the various sizes of sources, the estimated
11 tunnel concentration of radon. And in that
12 one, you can see where the small source
13 condition gets extremely high when the source
14 gets very large.

15 And the problem was essentially
16 when the source gets to a certain point, the
17 condition of a small source is violated is
18 what it amounts to. You simply can't get to
19 zero at the boundary. There was so much
20 diffusion when the source is so big that it
21 will give you a radon concentration beyond the
22 boundaries of the contaminated soil.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 And the same exact graph is on the
2 next page, on page 10, but it is a closer
3 view, see what's going on closer into the
4 tunnel. And from that, you can see, of
5 course, the right-hand side of the graph that
6 all three give very similar results until you
7 get to about 200 centimeters for the
8 parameters I put in there. Two hundred
9 centimeters or smaller of the source is where
10 they depart.

11 There are actually three lines on
12 there. The small source and the symmetrical
13 source give you essentially the same numbers
14 on down to zero, but the large source, the
15 concentration from that one gets extremely
16 large as the source gets very small.

17 Again, that ends up being a
18 violation of the condition itself because the
19 condition of a large source was that in the
20 center of the source, the radon reaches a
21 theoretical maximum as if there is no
22 diffusion.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Once the source gets so small it
2 simply can't reach that condition, there will
3 be some diffusion away from that. So it ends
4 up, like I said, violating the conditions of
5 that boundary condition.

6 So we ended up using the
7 symmetrical source because it gave us the same
8 results as the other two in the areas where
9 those other two apply.

10 And, using the parameters, the
11 parameters are listed, I believe, in
12 attachment B. And, from all of this put
13 together, we ended up from those parameters
14 and the symmetrical condition, we ended up
15 estimating the concentration of 26 picocuries
16 per liter from diffusion. And if you refer to
17 the graph, that's where the size of the source
18 is at least two or three hundred centimeters
19 large and on out from there.

20 The reason I included all three in
21 the paper was that it was kind of an
22 interesting result. And, based on the theory

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 and the boundary conditions we applied to it,
2 it kind of told us how large large is and how
3 small small is with those conditions.

4 You could see that they give us
5 similar results. All three give us similar
6 results, as I said, starting around two or
7 three hundred centimeters or larger.

8 The large source condition falls
9 apart for sources smaller than that. And the
10 small source condition falls apart for sizes
11 bigger than about 1,500 centimeters.

12 So I thought that was kind of
13 interesting itself because the obvious
14 question on these is how large is large when
15 you say a large source or how small is small?

16 And the analysis actually kind of told us
17 that.

18 And just to make sure we
19 understand, the sizes, if you're interested,
20 on the x-axis here, these are the sizes of the
21 source assuming it's evenly distributed. And
22 that is the distance from the tunnel wall to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 the center of the source.

2 So when I say 300 centimeters,
3 it's essentially roughly 9 feet from the
4 tunnel out to the center of the source. And
5 so you could say the source is roughly 18 feet
6 out from the tunnel. And that seems to be
7 about the limit of where diffusion makes much
8 of a difference in the tunnel, at least for
9 the parameters we put into this.

10 If you have high radon
11 concentrations, you can even say 100 feet away
12 from the tunnels. It really is not going to
13 affect the tunnel concentration. And it makes
14 sense to most people that that is not going to
15 do a lot for tunnel concentration. It is the
16 one radium concentration that's in closer to
17 the tunnel that is going to affect that.

18 And that's all I have unless
19 somebody wants some more detail.

20 CHAIR ROESSLER: I think it would
21 be helpful to make the comment that you have
22 on page 12 in comparing it to measurements. I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 think, for a lot of people, this modeling is
2 difficult to follow. And I think just are we
3 in the realm of reality?

4 MR. ALLEN: Yes. And I --

5 CHAIR ROESSLER: Bring up your
6 number that you have on page 11 and then
7 compare it to the measurement. I think that
8 would be helpful.

9 MR. ALLEN: Yes. I'm sorry. I
10 forgot about including that part. The number
11 I have on page 11, it was roughly 26
12 picocuries per liter from the diffusion. I
13 simply added that to the radon concentration
14 we derived for the surface contamination
15 inside the tunnel.

16 We came up with a total of 44.47
17 picocuries per liter here in this paper. We
18 did find one radon measurement at Linde, one
19 radon measurement from quite a while back. It
20 was not a utility tunnel. It was a conveyor
21 tunnel that ran underneath building 30.

22 And, Chris, you're going to have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 to correct me if I am wrong on any of this,
2 but this was a conveyor tunnel where men were
3 dumping the uranium ore on one end. And it
4 conveyed it, I think, to actually a bucket
5 elevator that then brought it up to a ball
6 mill.

7 The areas where there would be
8 spillage of ore in the tunnel would
9 essentially be where they were loading the
10 tunnel and then where that bucket elevator
11 took it from the conveyor up, which is
12 basically the two ends of the tunnel.

13 There were radon concentrations
14 measured in various places throughout the
15 tunnel, various links, both ends and a few
16 places in the middle.

17 This was done November 19th of
18 1946, which is very near -- or I might have
19 that wrong. I'm sorry. The report was dated
20 that. The measurements were taken October
21 22nd of '46, very near the end of their
22 operations with ore for the AEC. And this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 radon would likely be caused by buildup of
2 material from spillage as they were loading up
3 the conveyor and as the conveyor dumped to the
4 bucket elevator.

5 The highest concentration was at
6 the bucket elevator end. It was 44 picocuries
7 per liter. Near the middle of the tunnel, it
8 was 13 picocuries per liter. And it was
9 higher near the end where it was loaded up,
10 though I don't recall what that number is.
11 It's not in here.

12 As I said, these are probably
13 primarily from material in the tunnel, rather
14 than diffusion into the tunnel or anything
15 like that, but it is near the time of the ore
16 operations at Linde.

17 So soil contaminations you would
18 expect to be near their maximum. So it should
19 account for diffusion from soil contamination.

20 And it would account for contamination in the
21 tunnel, which I suspect in this case is
22 probably more like a pile of material.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 DR. NETON: Do you know what type
2 of ore this was at that time?

3 MR. CRAWFORD: All of the ore was
4 gone through there. Some thousands of tons of
5 that was African ore with full radium content.

6 DR. NETON: That's what I thought.

7 MR. CRAWFORD: All the American
8 ores have been pre-processed with the radium
9 --

10 MR. KATZ: Could you just -- I
11 don't know if people on the phone can hear you
12 so well Chris, these mikes aren't the
13 greatest.

14 MR. CRAWFORD: The conveyor tunnel
15 would have conveyed all of the ore that was
16 processed at Linde. And that was all done and
17 finished in '46, probably the Summer of '46.

18 My memory is thousands of tons of
19 African ore with radium in secular equilibrium
20 with uranium would have run through that
21 tunnel, I think approximately 9,000 tons, but
22 I'm not sure of that figure.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 So we're talking about a tunnel
2 that is really heavily contaminated with
3 processed material, which is quite a contrast
4 to utility tunnels, which never had any
5 processed material brought through them. They
6 did have leakage from the outside.

7 By the way, the end, the dumping
8 grill end, just to put a little more local
9 color into that, the ore came in in burlap
10 bags that were covered by a paper sleeve. I
11 even saw documentation that the paper sleeves
12 cost 27 cents each and they went through 1,800
13 of them a day. And they needed to economize
14 on them. So we have a lot of detail on how
15 this material was handled.

16 At any rate, when the ore bags
17 were brought in, they were stored in a corner
18 of building 30. And then the workers would
19 take the ore bags, cut off the tops, dump them
20 into the floor through a braiding, where they
21 fell on a conveyor belt, which then took them
22 across the building to the vertical conveyor,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 which also weighed the ore as it was conveyed
2 upwards. And then it was done through a
3 storage area at the ball mill end. From
4 there, it was scooped in the ball mill and
5 crushed before being dissolved in acid and so
6 forth.

7 So a lot of material went through
8 that tunnel. It was a smaller tunnel than the
9 utility tunnel. And it's only used for that
10 purpose after the war and after the
11 ore-handling period was over, that tunnel was
12 essentially abandoned.

13 The grating end, by the way,
14 actually had a lower radon measurement in 1946
15 when these October of '46 measurements were
16 made of about 6 picocuries per liter. The
17 ball mill end, for some reason, was much
18 higher.

19 DR. OSTROW: I assume there was no
20 ventilation fan in this tunnel.

21 MR. CRAWFORD: Not that I'm aware
22 of. Workers did periodically have to go

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 through and spill processed material. And I
2 found memos saying that they had to wear
3 certain overalls, they had to wear
4 respirators, and so forth. I can't prove they
5 did, but nonetheless, they were aware of the
6 hazards is all I can say. But, as far as I
7 know, there was no ventilation.

8 CHAIR ROESSLER: One question.
9 You mentioned, of course, the major
10 contributor was the contamination from the
11 material in there. But also that would
12 include the diffusion from any soil also,
13 which would be minor, but in case there was
14 ever a question that it certainly would
15 include that.

16 MR. ALLEN: If there was any
17 diffusion from the soils, it would include
18 that. And the soil should be at about their
19 maximum concentrations since this is right at
20 the end of the time frame when they were
21 handling that ore. I think my speculation was
22 that it is mostly from the material in there,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 but it is essentially from all the same
2 sources you would see with a utility tunnel.

3 DR. NETON: It's an underground
4 tunnel, similar dimensions, I think.

5 CHAIR ROESSLER: The question I
6 have is, with regard to -- you mentioned in
7 your measurements. Apparently they had more
8 than one reading. They had them at different
9 locations. Did you know what the technology
10 was for making radon measurements back at that
11 time?

12 MR. ALLEN: No. I do not. Chris
13 is trying to look at it, but it was
14 essentially a one-page memo with results on
15 it.

16 MR. CRAWFORD: Right. I don't
17 have a description of the measurement process
18 itself, only the results and the locations.
19 And there are only two measurements at each
20 location, six total measurements.

21 MR. KATZ: For the record, Mike is
22 joining us. Welcome, Mike.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. CRAWFORD: By the way, this
2 tunnel is relatively short. I believe, just
3 looking at the description of it in building
4 30, I would say 60 to 90 feet.

5 CHAIR ROESSLER: Well, are there
6 any other questions from the Work Group --
7 Mike Gibson has arrived -- or from Bill Field
8 if you're still with us since you're our radon
9 expert?

10 MEMBER LOCKEY: Jim Lockey. Is
11 the tunnel that short tunnel from 30 to 56 on
12 the map? Is that --

13 MR. CRAWFORD: No. It's entirely
14 contained within building 30 itself. It has
15 no other connection.

16 MEMBER LOCKEY: It's all from
17 building 30?

18 MR. CRAWFORD: Right.

19 MR. ALLEN: This is not a utility
20 tunnel. It was a conveyor tunnel under --

21 MEMBER LOCKEY: Right. I
22 understood that, but I just wondered where it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 was on this map. So it's all in building 30?

2 MR. CRAWFORD: Yes.

3 MEMBER LOCKEY: Okay.

4 DR. MAURO: A couple of questions,
5 John. The concentration of radium in this
6 rock -- I guess this ore is a rock. It's not
7 finely divided, I assume.

8 MR. CRAWFORD: It goes to a ball
9 mill.

10 DR. MAURO: Before it went to the
11 ball mill. So it's a rock-like material. And
12 do you know what -- I should know this, but I
13 don't. What is the concentration, picocuries
14 per gram, of the radium or the uranium?

15 MR. CRAWFORD: I would have to
16 look it up. There were various grades of
17 African ores --

18 DR. MAURO: Oh, I know. It has --

19 MR. CRAWFORD: Various
20 concentrations. And they actually did record
21 the number of tons at each richness.

22 DR. MAURO: Yes. The reason I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 ask, I'm trying to put it into context. We
2 know what the concentration of the radium was
3 in the soil and the tunnel, tunnels. And they
4 were on the order of 10, 9, 10, 12 picocuries
5 per gram.

6 DR. ANIGSTEIN: It depends on how
7 you look at it.

8 DR. MAURO: Okay but on that
9 order.

10 DR. ANIGSTEIN: Thirty.

11 DR. MAURO: Thirty? I assume it
12 is much, much higher than that. I don't know
13 the numbers. I was trying to make -- and
14 also, unlike the finely divided material
15 that's in the soil around the tunnel that we
16 are concerned with, this sounds like it's
17 rock, which, of course, is going to -- the way
18 in which radon leaves that might be a little
19 bit different than the way in which radon
20 would be diffused from the finely divided
21 soils.

22 I just want to -- so there are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 aspects that are different and aspects that
2 are similar.

3 MR. CRAWFORD: Yes. I don't know
4 if it's terribly relevant here, but during the
5 production period when they were dealing with
6 ores, we have building measurements of radon
7 that are much higher than even these tunnel
8 measurements, where they heat ore in hundreds
9 of tons of work on the stacks. Some of those
10 measurements were very high, I think, in
11 excess of 100 feet.

12 DR. MAURO: But that was after
13 they had been through the ball mill, they
14 crushed it, and they finely divided it. And
15 you're about to --

16 MR. CRAWFORD: We know the ball
17 mill end did have a storage area. Quite a few
18 tons of ore were kept.

19 DR. ANIGSTEIN: The ore from the
20 African ore being brought in --

21 MR. KATZ: Bob, a lot of people
22 have a hard time hearing your voice. So if

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 you could just speak up?

2 DR. ANIGSTEIN: Sure.

3 MR. KATZ: I think there's a mike
4 right there, but if you can, with the green
5 light -- everybody in the room can hear you
6 fine, but -- no. I think it's the green.
7 That's the telephone mike right there. If you
8 could just pull that towards you? No. Don't
9 push it. Just pull it towards you.

10 DR. ANIGSTEIN: That's what I'm
11 doing. I was moving. Oh, this one?

12 MR. KATZ: Yes. There you go.

13 DR. ANIGSTEIN: I've got you.

14 MR. KATZ: There you go. Thank
15 you.

16 DR. ANIGSTEIN: Okay. I was going
17 to answer John's question because I remember
18 we looked at the question of the radium in the
19 burlap bags. And the processes -- I reviewed
20 the whole thing, the whole burlap bag.

21 And when they came in, when the
22 burlap bags -- as I say, in the paper sleeves,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 only sometimes the paper sleeves I think were
2 torn. And when they came in the boxcar, they
3 actually had to open the doors of the boxcar
4 and ventilate them for -- I don't know -- 24
5 hours, whatever --

6 MR. CRAWFORD: That's right.

7 DR. ANIGSTEIN: -- because it was
8 impossible to enter. The radon levels were so
9 high because the African ore was processed in
10 Africa, in the Belgian Congo.

11 The only reason -- I can't resist
12 making a little historical aside. The only
13 reason we were able to get the African ores
14 was that the Belgian government, unlike the
15 king of Belgium, did not surrender to the
16 Germans. They evacuated to England. And they
17 controlled the Belgian Congo. And, therefore,
18 they traded with the United States. Otherwise
19 the Germans would have had it.

20 MR. CRAWFORD: They only gave up
21 title to the radium in the ore in 1983.

22 DR. ANIGSTEIN: Yes. Okay. Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 But what they did was -- anyway, that aside,
2 what they did in the Congo was they processed
3 the ore, meaning they kind of separated the
4 ore from the dirt. But they did not
5 chemically separate it. So it came with all
6 the radium that was in it normally.

7 Other ores, there was some
8 pre-processing on location where some radium
9 was removed is my understanding. But this one
10 was as hot as you get.

11 And Chris is right. The radium
12 was the valuable commodity as far as they were
13 concerned. And they wanted to get the radium
14 back.

15 To make a long story short, there
16 was a lot of radium in the ores.

17 MR. KATZ: Do you want to check in
18 on Bill Field?

19 CHAIR ROESSLER: Okay. Any other
20 questions? Anybody on the phone have any
21 questions?

22 MS. BONSIGNORE: I actually have a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 question if I might ask it at this time.

2 CHAIR ROESSLER: I think it's
3 Antoinette, right?

4 MS. BONSIGNORE: Yes, it is.

5 CHAIR ROESSLER: Go ahead.

6 MS. BONSIGNORE: This is the first
7 that I'm hearing of anything being referred to
8 as a conveyor tunnel. And I'm wondering.
9 Someone made a statement that after the 1940s,
10 that this conveyor tunnel was essentially
11 abandoned and that nobody worked in it or went
12 through it. I'm just wondering how you know
13 that.

14 MR. CRAWFORD: The purpose of the
15 tunnel was to convey ore from one part of
16 building 30 to another. After '46, no more
17 ore was ever processed. After that, they
18 brought in uranium oxide, which had already
19 been highly processed. That came in in
20 barrels.

21 MS. BONSIGNORE: That's not my
22 question. My question is: I know that there

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 wasn't any ore being conveyed there, but what
2 I'm asking is since this is under building 30,
3 how do you know that workers didn't use it for
4 some other purpose in later years?

5 MR. CRAWFORD: Well, I can't think
6 of a reason they would. So if that's the --

7 MS. BONSIGNORE: But you don't
8 know.

9 MR. CRAWFORD: There was no --
10 it's hard to find negative documentation.
11 Nobody writes a paper saying that there were
12 no workers not using the tunnels. We have no
13 worker testimony from anyone who ever said
14 they were in such a tunnel.

15 MS. BONSIGNORE: Well, I would
16 like the opportunity to actually ask the
17 workers this question because they may have
18 used a different term to describe this tunnel.

19 And they may have actually worked in this
20 tunnel.

21 I think that would be a relevant
22 question to be asked so the Working Group

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 could have a full understanding of whether
2 workers actually used this tunnel in later
3 years.

4 MR. CRAWFORD: At any rate, it may
5 not be as relevant as you think because the
6 levels that are proposed in the radon model we
7 now have are above that level that was
8 measured directly in the tunnel.

9 In other words, if the workers are
10 already exposed in the utility tunnel and
11 we're allowing for that.

12 CHAIR ROESSLER: Antoinette, does
13 that --

14 MS. BONSIGNORE: Well, I don't
15 understand why you wouldn't want to have as
16 much information from the workers as possible.

17 MR. CRAWFORD: Well, there's no
18 reason not to have the information. I quite
19 agree with you. I'm just saying I'm not sure
20 it should hold up the Committee's
21 deliberations unless it is really going to
22 make a difference.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 If we can think of some scenario
2 under which it would make a difference --

3 MS. BONSIGNORE: Well, I'm not a
4 health physicist. So I can't really, you
5 know, challenge you on something like this.
6 It's difficult for me to challenge anybody on
7 these technical documents.

8 What I'm simply suggesting is that
9 I be given an opportunity to ask the workers
10 simple questions.

11 CHAIR ROESSLER: Antoinette, I
12 think as we get on further in the day and wrap
13 this up, we certainly will be talking about
14 your comments here.

15 I think that my question at this
16 point or I would like to have somebody say
17 what we are looking at is the diffusion model
18 that was presented and looking at this data to
19 kind of evaluate that diffusion model. And I
20 would like for somebody to state how pertinent
21 this situation in these tunnels would be to,
22 conveyor tunnels be to the utility tunnel --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 with the diffusion from the soil, would all
2 the parameters be about the same so that this
3 could be looked at certainly bounding since
4 there was not only diffusion from the soil but
5 all this other material?

6 MR. ALLEN: I think the conveyor
7 tunnel would be a -- it should in theory --
8 you would think it would exhibit more radon
9 than utility tunnels. You're going to get the
10 same radon diffusion. I mean, it's subject to
11 radon diffusion from the soils just as much as
12 utility tunnels.

13 The radon should never be any
14 higher than what it was when it was first put
15 on the ground there, which is that the
16 material would have been visible material. I
17 think Chris said that they went in from time
18 to time to scoop up the material, you know,
19 basically reclaim that material, and put it on
20 a conveyor.

21 I don't think anybody has ever
22 suggested there was enough material in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 utility tunnels to actually recover and scoop
2 it up or anything like that. So it certainly
3 sounds like there's considerably more material
4 in the conveyor tunnel than in the utility
5 tunnels.

6 As one would expect, there was no
7 reason to believe the diffusion would be less
8 in the conveyor tunnel than in the utility
9 tunnels. And it certainly seems like the
10 conveyor tunnel would have all the same
11 mechanisms, just more of those mechanisms.

12 And we intended to be bounding
13 with the utility tunnel model. It was
14 simplified some with the one dimension, et
15 cetera, but I think the utility tunnel or the
16 conveyor tunnel survey kind of backs up that
17 we're in the credible range and likely
18 bounding.

19 MEMBER LOCKEY: John, let me ask
20 you a question -- Jim Lockey. You had said
21 that the diffusion for radon will be different
22 from a rock than something that has been

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 ground into a finer particulate. Is that
2 right?

3 DR. MAURO: Yes.

4 MEMBER LOCKEY: Would that be the
5 reason that at the end of the ball mill -- at
6 the ball mill, the radiation levels are higher
7 than at the beginning of the tunnel?

8 DR. MAURO: I don't know.

9 DR. NETON: It's the same product
10 at both ends. It just got dumped there.

11 DR. OSTROW: Yes. It sounds like
12 the physical --

13 DR. NETON: It's a different
14 physical product at that point. I think there
15 are just more of it.

16 DR. OSTROW: Yes, it's not like
17 the physical process that you add more ore at
18 the ball mill side that, you know, landed on
19 the floor. It sounds like --

20 MEMBER LOCKEY: Well, I was
21 thinking a ball mill is something that is
22 going to --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 DR. MAURO: Yes. That's later,
2 though. Is that upstairs?

3 MR. CRAWFORD: Yes.

4 DR. MAURO: This is just that they
5 conveyed it. The rock is just moving through
6 here to go to an elevator that went upstairs,
7 where it was hit by the ball mill, where it
8 was ground down to I guess a finer so that it
9 would interact with the sulfuric acid,
10 whatever was used to digest it.

11 MEMBER LOCKEY: What were the
12 levels at the ball mill, then? Do you
13 remember?

14 DR. NETON: Forty-four picocuries.

15 MR. ALLEN: That's in the conveyor
16 at the ball mill end of it or in the tunnel.

17 MEMBER LOCKEY: Actually at the
18 ball mill? Do you know that?

19 DR. NETON: No.

20 MR. ALLEN: I don't. Do you know
21 that, Chris?

22 MEMBER BEACH: Well, I have a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 question on the model. You said it was
2 one-dimensional. Does that take into account
3 all the possibilities of all the radon that
4 was in that area? Is there another way to
5 model it so that you can get more --

6 MR. ALLEN: It can get more
7 sophisticated. You can get very hardcore into
8 modeling, you know. It is one-dimensional,
9 meaning just straight out from the tunnel.

10 It could be modeled to the
11 vertical dimension, but the other, that is
12 going to make the levels go down because that
13 is one of the big removal mechanisms from the
14 soil, is diffusion into the air. And that's
15 not accounted for in this model.

16 MEMBER BEACH: Okay.

17 DR. MAURO: I did have a question.
18 What you are doing is creating analogous
19 situations. Here are the tunnels that we are
20 interested in. Here is the conveyor tunnel.

21 I know you had several hundred
22 bore holes where soil was collected in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 soil around the tunnel. Is the conveyor
2 tunnel also encompassed? That is, is it also
3 sitting in soil that has the same
4 concentration or was it located where all
5 those walls were taken so one could say that,
6 you know, the contamination of the soil
7 outside the conveyor tunnel was sort of more
8 or less the same as it was outside the other
9 tunnels or is this a different location
10 altogether?

11 MR. ALLEN: There were holes
12 drilled through the flooring of building 30,
13 bore holes drilled through. I don't know how
14 close they were to where this conveyor tunnel
15 is. Do you know that one, Chris?

16 MR. CRAWFORD: Building 30 is
17 rather a special case. In other words, I don't
18 think it would necessarily be comparable to
19 the general contamination of the grounds in
20 between the buildings, which is mainly where
21 the tunnels ran.

22 Building 30 processed all of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 ore. Yet, early in the history of building
2 30, it had dirt floors. Then they poured
3 concrete. Now there is a foot concrete there
4 on top of the floor for these measurements.
5 In '93, for instance, that's what they found.

6 So whether there was contamination
7 under building 30, I'm not sure that it's
8 representative. And you could look at how
9 close it was to the tunnel.

10 I think, actually, John, I think
11 you mentioned, you or Steve, at the last
12 meeting that five meters was the effective --

13 DR. MAURO: Yes. That was the
14 number I pulled from the literature. I went
15 back to try to find that.

16 MR. CRAWFORD: Right.

17 DR. MAURO: And I didn't.

18 MR. CRAWFORD: I think in this
19 case, building 30 would have been located more
20 than five meters from the utility tunnel. So
21 if that helps anyone out.

22 Bob?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. ANIGSTEIN: Well, first of
2 all, I've got some illustrations I was going
3 to present. So maybe I'll wait until --

4 CHAIR ROESSLER: I think it would
5 be good to jump to that next. I think what
6 we're trying to do here, at least my objective
7 in asking the question about these
8 measurements, was to evaluate the reality of
9 those measurements.

10 Were the conveyor tunnels, with
11 their content, with their construction similar
12 to the utility tunnels?

13 DR. MAURO: Yes. Everything else
14 being equal -- and the only difference between
15 the tunnels and the conveyor tunnels is the
16 fact that the conveyor tunnels contained this
17 inventory of some quantity of ore that clearly
18 has relatively high concentration radium. One
19 could make a fundamental argument. Of course,
20 it's going to be worse in the conveyor
21 tunnels.

22 However, the things that might be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 different -- and that's why I posed the
2 question -- is the level of the concentration
3 of the radium in the soil around both tunnels.

4 And the second one, which might be more
5 important, is a fan.

6 I know that the tunnels we are
7 concerned with had an exhaust fan, low
8 turnover, joined negative pressure creating a
9 vector transport. Did the conveyor tunnel
10 have a similar situation because if it did,
11 then we have a situation that the conveyor
12 tunnel in many respects -- the only difference
13 is the fact that it had some ore inside it.

14 DR. ANIGSTEIN: But isn't that a
15 huge difference?

16 DR. MAURO: The ore inside should
17 make a huge difference, make it far worse.

18 MEMBER BEACH: Were those conveyor
19 tunnels connected to the utility tunnels in
20 any way?

21 MR. CRAWFORD: No.

22 MS. BONSIGNORE: Are you sure?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. CRAWFORD: Yes.

2 CHAIR ROESSLER: So if the rock
3 makes the huge difference, then these should
4 be way over estimates. But I just want to
5 read through the fine point that we're not
6 missing something and not saying that these
7 tunnels were different and, therefore, this is
8 not a real upper bound.

9 MR. ALLEN: And I am just going to
10 mention one thing as far as that ventilation.

11 There were I think six places throughout the
12 tunnel where the radon was measured and you
13 see some significant differences like 44 at
14 one end and I don't know what the other
15 numbers are.

16 MR. CRAWFORD: Six in the middle.

17 MR. ALLEN: Six in the middle.

18 MR. CRAWFORD: Thirteen in the --

19 MR. ALLEN: The middle seemed to
20 be the lowest concentration, which was maybe
21 the furthest away from the material you would
22 expect to spill. And having that variance in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the 60 to 90-foot-long tunnel, it seemed to me
2 there couldn't have been a lot of flow or
3 there would be better mixing than that.

4 It seems to imply there was little
5 or no ventilation in that tunnel. And it
6 would have been a conveyor tunnel, where you
7 would not normally have people working other
8 than to repair that conveyor. So it makes
9 sense that there wouldn't be a great deal of
10 ventilation.

11 DR. MAURO: Interestingly enough,
12 the ventilation issue, just as a concept, one
13 would think on first principle that, oh,
14 ventilation would have helped to improve and
15 reduce concentrations. But, in fact, the
16 ventilation very often if there is a
17 substantial source of radon outside the
18 tunnel, it actually makes things worse because
19 you're bringing the radon in.

20 So it is an interesting -- see,
21 I'm just trying to say, everything else being
22 equal except you have rock inside the tunnel,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 I would say the story is over. You have made
2 your case. I mean, I sort of come to the end
3 pretty quick.

4 But, I mean, if they're both
5 duplicates of each other except in one case
6 you've got ore and everything else is equal,
7 the tunnel, the basic structure of the tunnel,
8 the concentrations in the soil around the
9 tunnel, but the only difference is the
10 conveyor tunnel had the rock, you've just
11 established the bounding condition for all
12 intents and purposes. But we don't know that
13 necessarily would be the case.

14 I guess that's what I'm -- that's
15 an important piece of information, this actual
16 measurement. From the very beginning I've
17 been arguing measurements in the end is what
18 you got. In fact, quite frankly, I would love
19 to have seen real measurements made in the
20 tunnels themselves.

21 DR. NETON: Well, I do have some
22 information on that. On August 23rd, we sent

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 a letter to the site manager asking for
2 permission to take measurements in the tunnels
3 -- well, first asking if they had any
4 measurements; if they did, if they would
5 provide them to us; and if they didn't, would
6 they grant us permission to take measurements.

7 It went from Stu Hinnefeld directly to the
8 site manager. And we received no response up
9 until a couple of weeks ago, maybe a week ago.

10 I forget. But Stu finally --

11 CHAIR ROESSLER: I wonder if
12 people can hear you, Jim. I think you --

13 DR. NETON: Stu finally got a hold
14 of the site manager. And she indicated that
15 it was her opinion that the tunnels are
16 undergoing active remediation in any respects
17 and to a large degree under the control of the
18 Army Corps of Engineers. So she referred us
19 to the Army Corps of Engineers for permission
20 to enter the tunnel.

21 I talked to Chris Crawford about
22 this. And we spoke to the Army Corps of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Engineers some time ago. And it was their
2 impression that the tunnels were under the
3 control of Praxair. We sort of got a little
4 bit of a runaround here.

5 DR. MAURO: I am sorry, the tunnels
6 are what?

7 DR. NETON: Under the control of
8 Praxair, the current operator. Both may be
9 true. It seems like some portions are
10 undergoing remediation by the Corps and some
11 are not. And so maybe there's -- depending on
12 what is going on, certain people had
13 jurisdiction.

14 So this all happened fairly
15 recently. Chris -- I'm speaking for Chris,
16 but I think what he did was he spoke to our
17 Army Corps of Engineers contact and basically
18 relayed our latest feedback from Praxair and
19 asked him to sort of sort out the details for
20 it as to what we might be able to do.

21 We do believe it was indicated by
22 the site manager that some of the tunnels may

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 have already been remediated or destroyed,
2 actually. So we're trying to find out what is
3 left and what we might be able to measure. So
4 it's still in the process.

5 That is still a possibility, but
6 it's been somewhat difficult for us to get to
7 the bottom line. You think it would be
8 simple, but as Bob found out dealing with
9 bureaucracies and agencies and with other
10 issues. Sometimes you get to a bigger
11 pointing at delay.

12 So, you know, that is actually
13 still in the works. Of course, that would be
14 a very interesting measurement to take as
15 well. Interestingly, this tunnel, conveyor
16 tunnel, measurement came to us after the
17 calculations were done. This was not sort of
18 a reverse engineered system, they developed
19 this model and then, lo and behold, just about
20 the time the calculations were done, ORAU
21 through a data capture located this one day of
22 measurement for radon -- and that is the only

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 piece we have right now -- underground. We
2 thought it was a fairly interesting piece.

3 We're not suggesting that this
4 validates the model, but I think it's
5 certainly a piece of information that adds to
6 this puzzle. And, you know, 40 picocuries per
7 liter underground in a tunnel that conveyed
8 fairly concentrated uranium ore -- you can
9 makes a pretty good case that it is in that
10 ballpark. I don't know that we can get things
11 in 100 picocuries per liter.

12 DR. OSTROW: Jim, getting back to
13 the dealings with the Army Corps of Engineers
14 and Praxair, did they mention the fans still
15 working? Do any of the fans still work?

16 DR. NETON: We haven't gotten to
17 that level of detail at all.

18 DR. OSTROW: Okay.

19 DR. MAURO: As a part of the
20 health and safety program, people are
21 obviously working inside of that tunnel to
22 remediate it. Are they taking radon

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 measurements to make sure that --

2 DR. NETON: Well, we asked that
3 question. I mean, we're trying to find that
4 out. And so far we don't know.

5 MR. CRAWFORD: Their concern seems
6 to be asbestos.

7 DR. NETON: Interestingly enough,
8 if you look at the Army Corps, the Army Corps
9 did a characterization of the tunnel complex
10 in 2002. January 2002, they issued a report.

11 I don't remember exactly when. It was the
12 first time people went in and actually did
13 measurements.

14 And that is the basis of the
15 surface contamination measurements, which I'll
16 remind people that the calculation we did that
17 gives up to 18 picocuries per liter in the
18 tunnel, assumes that the entire complex is
19 coated with the highest concentration per
20 square meter that was measured. So it's a
21 fairly conservative number.

22 But they did this survey with the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 intent of trying to determine whether it
2 really needed to be remediated. They only
3 identified two or three locations where there
4 was really sufficient in-tunnel contaminations
5 to warrant remediation.

6 And they also did some
7 calculations for the dose that would be
8 associated with certain activities, you know,
9 remediation activities in the tunnel. Their
10 doses, frankly, are very low. And they have
11 included radon in the calculation. They are
12 like 25-30 millirem per year.

13 Interestingly, though, this does
14 not include, as far as I can tell or anyone
15 can tell, the diffusion of radon from the
16 radium in the soil outside the tunnels. As
17 far as this calculation goes, it only appears
18 that they considered the surface contamination
19 inside the tunnel. So that extra piece is
20 what was missing from their analysis.

21 They certainly didn't appear to be
22 concerned about radon in the tunnel, though.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 There's nothing in there about measurement of
2 radon. They've actually inferred it based on
3 the radium contamination.

4 MEMBER LOCKEY: When was that done
5 again?

6 DR. NETON: Well, the report was
7 issued in 2002. I have forgotten when the
8 measurements were taken. I believe like 2001.

9 DR. MAURO: Yes. It was one year
10 earlier, 2001.

11 DR. NETON: About a year earlier.
12 And so it's a fairly detailed square meter by
13 square meter survey of the entire existing
14 tunnel complex at the time. So we know very
15 well what the levels of contamination are
16 inside the tunnel.

17 The other thing I would point out
18 is that we have to remember that the radon
19 associated with natural radium in the soil for
20 purposes of calculation is not included in the
21 calculation because it's not covered under the
22 residual period. Only the AEC-derived radium

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 is covered. That's why Dave's model only went
2 down one meter and didn't consider what would
3 normally be about a picocurie per gram of
4 radium in all soils or something to that
5 effect. That's not included in this
6 calculation.

7 Now, the measurement of 46,
8 whatever they measure in the conveyor tunnel,
9 would include natural radon as well.

10 DR. MAURO: I have a question. I
11 guess I know we have had other discussions
12 regarding the contribution of natural. And I
13 remember some words to the effect that if you
14 can't make a distinction between what is from
15 the source and what's been natural, you have
16 to include --

17 DR. NETON: That's correct.

18 DR. MAURO: So I guess I'm --

19 DR. NETON: For example, if you
20 have an actual measurement, you cannot
21 distinguish how much of that measurement was
22 continued from --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. MAURO: With a model --

2 DR. NETON: With a model you can.

3 The model does not have to consider all --

4 DR. MAURO: I've got it. Very
5 good.

6 CHAIR ROESSLER: I think we're at
7 the point now of unless somebody else has
8 questions going to SC&A. And, as I understand
9 it, SC&A, you have no problems with the
10 mathematics? That's good?

11 MEMBER FIELD: Gen?

12 CHAIR ROESSLER: Let me finish the
13 sentence. Then we'll get Bill.

14 -- and that you agree with their
15 calculations with regard to the contamination,
16 but it's infiltration you want to talk about.

17 But I hear a voice on the phone.

18 MR. KATZ: Bill?

19 MEMBER FIELD: Gen, can you hear
20 me okay?

21 MR. KATZ: Yes, very clearly.

22 MEMBER FIELD: Okay. Good. I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 just had a couple of questions. I was just
2 wondering if in any of the calculations you
3 considered the contribution of thoron at all.

4 MR. ALLEN: I caught every other
5 word there. Can you repeat that, please?

6 MEMBER FIELD: I was wondering in
7 your assessments of exposures if you thought
8 about the contribution of thoron at all.

9 MR. ALLEN: No, we haven't.

10 DR. NETON: I don't think they
11 ever dealt with -- did they do a calculation
12 at Linde at all?

13 MR. ALLEN: No. I don't have any
14 information that they dealt with thorium.

15 DR. NETON: Any thoron that would
16 be present would be from natural sources. And
17 that would not be covered during the residual
18 period.

19 MEMBER FIELD: And I had some
20 other questions about where you came up with
21 your emanation fraction from the soil.

22 MR. ALLEN: If I remember right, I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 just used one for lack of a better number.
2 I'm checking to make sure I'm not lying to you
3 here. That is correct. Okay. Yes. We just
4 assumed it all emanated from the matrix, none
5 of it was held up.

6 MEMBER FIELD: Okay. And just a
7 quick question, how -- I'm just getting into
8 this late. So I'm trying to catch up with a
9 lot of information. The soil samples that
10 were taken, how representative do you think
11 they are of the area in question?

12 MR. ALLEN: Well, we did not -- I
13 didn't get a chance to actually do a hard core
14 type of analysis that I would like to do,
15 which would have been to simply essentially
16 separate the site into exactly where the
17 tunnels are and analyze only the samples that
18 are within about I'd say 15-30 feet from the
19 tunnels, instead of the entire site.

20 We had everything in a
21 spreadsheet. And it was too much to sort
22 through in a timely manner. It wasn't huge

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 differences other than, you know, some of the
2 high outliers were well away from the tunnels.

3 So we ended up just analyzing that
4 and coming up with a 95th of essentially all
5 of the site samples that were zero to three
6 feet deep.

7 DR. NETON: Didn't you exclude
8 some of the ones that were obviously dumped
9 material?

10 MR. ALLEN: No. We excluded some
11 that were in the original spreadsheet that
12 were actually another site.

13 DR. NETON: Right.

14 MR. ALLEN: We would obviously
15 exclude those. It's simply an error in the
16 spreadsheet. But for everything else that was
17 at the Linde site, we used all the samples.

18 Like I said, I would have rather
19 used just those close to the tunnels
20 themselves, but you have to actually grid out
21 where each sample was. And there's quite a
22 few. And I didn't get to that point.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER FIELD: And I guess, just
2 like you were mentioning, you could probably
3 measure this now, which I think would be a
4 great idea to do, take current measurements,
5 where perhaps you can control the ventilation,
6 you'll know what the soil moisture is around
7 the tunnel. I think that's a great idea.

8 I guess I'm -- what you mentioned
9 before is that you really don't know about the
10 conditions of the measurements that were made
11 previously, how long, what the duration was,
12 anything regarding what kind of detector was
13 used. Is that correct?

14 MR. ALLEN: That's for the
15 conveyor tunnel measurements? That's correct.
16 We came across the one-page memo essentially.
17 And it's just the results.

18 DR. NETON: That was not HASL at
19 that time, was it?

20 MR. CRAWFORD: I didn't see an
21 author of the measurements.

22 DR. NETON: We should be able to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 determine actually what entity made the
2 measurements. And, you know, there were
3 certain standards that didn't exist at the
4 time. These measurements were in
5 micromicrocuries per liter, sort of in vogue
6 at the time, instead of picocuries per liter.

7 I don't know if this was like an
8 evacuation flask, you know, like a Lucas flask
9 or --

10 MR. CRAWFORD: Right.

11 DR. NETON: I think that is what
12 they were using primarily in that era at
13 Mallinckrodt if I'm not mistaken.

14 MEMBER FIELD: What this sounds
15 like is some sort of grab sampling.

16 DR. NETON: That is right.

17 MEMBER FIELD: It will be a very
18 short-term measurement that may or may not
19 reflect the long-term concentration.

20 DR. NETON: Good point. Yes, this
21 is always the case now. You look and look for
22 measurements, but then once you get them, it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 actually raises more questions than it
2 answers.

3 CHAIR ROESSLER: Anything else,
4 Bill?

5 MEMBER FIELD: Not now. Thank
6 you.

7 CHAIR ROESSLER: Okay. Are we
8 ready for Bob's presentation?

9 MR. KATZ: Bob, do you need to
10 hook up your computer to the --

11 DR. ANIGSTEIN: Yes. Maybe we can
12 just take a five-minute break?

13 MR. KATZ: Let's take a ten-minute
14 break because we have to hook up Bob's
15 computer to the projector here. It's five
16 after by my watch. So a quarter after?

17 CHAIR ROESSLER: Okay.

18 (Whereupon, the above-entitled
19 matter went off the record at 10:07 a.m. and
20 resumed at 10:21 a.m.)

21 MR. KATZ: We are reconvening
22 after a short break. And we are just about to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 hear a presentation from Bob Anigstein, who
2 led the SC&A review, did Allen's paper on the
3 tunnels.

4 DR. ANIGSTEIN: We begin with -- I
5 would preface this, we only got Dave Allen's
6 report on October 1st. So this has been
7 extremely limited in terms of what I will be
8 able to review.

9 And the first thing we did was to
10 go over the model, go over the equations. So
11 the first set of equations, which modeled the
12 radon emission from the surface, surface
13 contamination of the radium in the tunnel we
14 have no problem with.

15 The equation is simple,
16 straightforward. It is correct. We verified
17 all the parameters. And they're all either
18 correct or reasonable. But, you know, either
19 they were documented or they're reasonable
20 assumptions. So there is nothing further to
21 discuss that.

22 The diffusion model is much more

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 complicated. As you can tell from Dave's
2 presentation, the first thing we did, I did,
3 was go through and actually solve the
4 differential equation and derive the general
5 solution.

6 I did come across something
7 interesting, which is just a side note, that
8 one of the conditions that comes out when you
9 evaluate an integral and for this to get this,
10 this is one possible general solution, one
11 possible functional form.

12 And this functional form I'll have
13 to go back and verify before I make it formal.

14 Before I make a formal write-up, it's not in
15 my report.

16 But the tentative version I made
17 was that this is valid only if product, K_1
18 times K_2 , is a positive number. Either K_1 and
19 K_2 both have to be positive or both have to be
20 negative.

21 So in the case of the symmetrical
22 boundary condition, that condition is met.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 And I believe that is why you get a
2 well-behaved function, which makes physical
3 sense.

4 With the large and the small
5 source, it's not the case. And I think that's
6 the reason why, not because there is anything
7 wrong with the physical assumptions behind,
8 but this particular function does not apply to
9 that.

10 It's just an aside because we
11 concentrated on the symmetrical boundary
12 conditions. And the mathematics there is
13 correct.

14 MR. KATZ: One pause. Let me just
15 check and make sure folks on the phone can
16 hear Bob well because I hear some feedback.
17 So, Bill or Antoinette or someone, can you
18 tell me if you're hearing Bob well?

19 MS. BONSIGNORE: I'm fine.

20 MR. KATZ: Okay. Good. Thank
21 you. Okay.

22 DR. ANIGSTEIN: Okay. So much for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 the math. In going on to the actual
2 parameters, the actual input data, the detail,
3 it's said the devil is in the details.

4 First question, first comment that
5 we have is the radium concentrations that were
6 used. And it was already talked about to some
7 extent.

8 Now, okay. We have this drawing
9 that came out. It was obtained during the
10 worker interviews. One of the workers
11 apparently took a map.

12 And then the red is his markup in
13 ink and showing the location of the tunnels.
14 And, of course, they go through the site, but
15 one particular area is they are around
16 building 30. Here is one that seems to be
17 under the edge of building 30, another branch
18 of it passing near building 30. So that seems
19 to be.

20 And the reason I am interested in
21 this is I was trying to identify the various
22 areas because the document that I used, I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 didn't have the database. I didn't have time
2 to obtain it. So I looked at one of the site
3 remediation -- just now identified it at --
4 what was the name of that? SRB-9026 was --
5 let's see if I can find the name of it.

6 MR. CRAWFORD: The entire document
7 if you want it --

8 DR. ANIGSTEIN: Wait a second. I
9 have it here now. Okay. This is the Bechtel
10 remedial investigation report right here.

11 And that contains several tables
12 with the radium concentration by area for the
13 different areas on the site. So the one I
14 could identify that made sense -- others I
15 didn't know where they were, quite frankly.
16 So I picked area 4 because area 4 -- this is
17 from the Site Profile -- is, in fact, where
18 building 30 is, the tunnels, or at least a
19 portion of the tunnels are.

20 Also area 4 -- they had areas 1,
21 2, 3 and 4, among other things -- the average
22 concentration of area 4 is significantly

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 higher. And the calculation I made was I took
2 the 46, a much smaller number of measurement.

3 There were 46 measurements.

4 And to obtain the 95th percentile
5 -- and this is a mathematical statistical
6 difference we have that was used by NIOSH --
7 the method that was in Dave Allen's report is
8 to take the median concentration; in other
9 words, simply add them all up, take the middle
10 one, and then calculate the geometric standard
11 deviation, multiply it by the usual 1.645, and
12 add that to the middle guy, the median. And
13 that gives you the 95th percentile.

14 That is fine if you have a true
15 log-normal distribution, which so far I have
16 never seen in all of the data in all of the
17 different sites and studies that we have done
18 for NIOSH.

19 I'm not the lead on this, but I've
20 never seen anything that's really, truly
21 log-normal. They're typically skewed towards
22 the high end.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Now, the method that seems to me
2 to be unbiased and makes no assumption is to
3 simply do the rank order, simply list all the
4 concentrations, all the measurements in order,
5 and take the 95th percentile. If you had 100,
6 it would be easy, it would be the 95th member.

7 And, actually, Excel, I just
8 discovered, I didn't even realize it -- has a
9 function that will tell you the -- you simply
10 tell it the array on your spreadsheet. And
11 then you can take any percentiles. If you put
12 in .95, it will read off the 95th percentile.

13 So it is a very easy calculation
14 to make. And it's also a valid one because it
15 makes no assumption about what kind of
16 distribution. Is it normal? Is it
17 log-normal? Is it standard, whatever?

18 So in this case, on the data that
19 I was using, using Dave Allen's method, I came
20 up with 16 picocuries per gram because it was
21 a higher level than the others.

22 However, using this rank order

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 method, it is 28 picocuries per gram. It is
2 significantly higher. And to my mind, it is a
3 more appropriate measurement.

4 Okay. Having done that --

5 DR. MAURO: I'm sorry, Bob. So
6 you come up with 28 as the 95th percentile for
7 the value for the model as input and the
8 number that David --

9 DR. ANIGSTEIN: 9.5.

10 DR. MAURO: 9.5 versus -- okay. I
11 just wanted to get that clear. A factor of
12 three.

13 DR. NETON: Where were these
14 values, Bob?

15 DR. ANIGSTEIN: Pardon?

16 DR. NETON: Where were these
17 values?

18 DR. ANIGSTEIN: Forty-six in area
19 4.

20 DR. NETON: Where in relation to
21 --

22 DR. ANIGSTEIN: Okay. Just a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 second. Just a second. It was here. Here we
2 go.

3 DR. NETON: And didn't you take a
4 formal --

5 DR. ANIGSTEIN: This is area 4.
6 This is the building 30. I don't have a
7 single map. I have to go --

8 DR. NETON: Right. But --

9 DR. ANIGSTEIN: Just one second.
10 So here we go.

11 DR. NETON: How do you --

12 DR. ANIGSTEIN: Here. I'm
13 pointing at screen. Here are the tunnels. A
14 lot of them are around, not all of them but a
15 lot of the area is around building 30. And
16 now --

17 DR. NETON: Your maps --

18 DR. ANIGSTEIN: Here is area 4.
19 So area 4 is around building 30. Now, what
20 I'm suggesting -- I want to preface this. I
21 said the same thing about other studies that I
22 have been involved in, like JSI.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 I am not saying that I have the
2 right answer and this is the model. I am
3 simply pointing out there are alternate
4 assumptions, which are reasonable and
5 plausible, which give you higher values. And
6 that would -- and the message is to refine the
7 models, not to accept our numbers.

8 DR. NETON: I'm just trying to get
9 a sense of where these samples were taken
10 within area 4.

11 DR. ANIGSTEIN: I have no idea.

12 DR. NETON: I thought at one point
13 --

14 DR. ANIGSTEIN: I don't have a --

15 DR. NETON: You had cited a bore
16 hole value --

17 DR. ANIGSTEIN: I don't have a
18 bore hole map.

19 DR. NETON: Under building 30 or
20 something like that.

21 DR. ANIGSTEIN: One was under
22 building 30.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 DR. NETON: Right.

2 DR. ANIGSTEIN: They did say there
3 was one measurement.

4 DR. NETON: That was one of the
5 higher ones, right?

6 DR. ANIGSTEIN: Yes. The --

7 DR. NETON: Again, you know, are
8 these really representative as well of the
9 area? I don't know.

10 DR. ANIGSTEIN: I think that
11 Dave's point, which he said they didn't do
12 what he acknowledged, is that it would make
13 sense to go -- to take the map and take the
14 locations --

15 DR. NETON: Correct.

16 DR. ANIGSTEIN: Of the bore holes
17 and create a belt of a few meters around the
18 edges of the tunnels. And if you would use
19 those, that would be more reasonable. Again,
20 I'm just throwing an alternate assumption.

21 DR. NETON: Interestingly, could
22 you show up your map of the tunnels again? It

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 appears to be somewhat different than the
2 FUSRAP, the map that's in the 2002 FUSRAP.

3 DR. ANIGSTEIN: Oh, the problem
4 here, I'll tell you what the problem here is,
5 orientation. Just one second.

6 DR. NETON: No. It's not where
7 you take it but the location of the tunnels in
8 relation to the buildings.

9 DR. ANIGSTEIN: Okay. Here we
10 are. Here are the same orientations.

11 DR. NETON: For example, you seem
12 to have a building 30 tunnel going virtually
13 underneath building 30.

14 DR. ANIGSTEIN: Well, all I know
15 is --

16 DR. NETON: In the FUSRAP map, it
17 actually goes kind of in the middle of the
18 street between --

19 DR. ANIGSTEIN: Just a second.
20 I'm going to the wrong thing here. I was
21 trying to stand it on its side. There we go.
22 Okay. This is what we have. This is what

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the worker gave. This is what I worked with.

2 Again, this was a very quick -- I
3 only had two days on this. So I didn't have
4 time for a lot of data collection. This is
5 not a thorough, thorough going -- this is not
6 a typical SC&A product in which I'm involved,
7 which is thorough and exhaustive and takes
8 months. This was done in a week.

9 So here is where this particular
10 worker showed the tunnels to be in relation to
11 building 30. I did not have the -- I did not
12 look at the map.

13 DR. NETON: Yes. The figure 1.1
14 -- FUSRAP report has a very detailed, well
15 drawn map of all the tunnels and the
16 contamination level that was in the tunnels.

17 DR. ANIGSTEIN: And where is this?

18 DR. NETON: Figure 1.1 of the
19 January 2002 FUSRAP report.

20 DR. ANIGSTEIN: Okay.

21 DR. NETON: Well, they look
22 somewhat a little different than --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. ANIGSTEIN: That's volume one?

2 DR. NETON: No. It's just a
3 report. It's --

4 DR. ANIGSTEIN: I mean, I was
5 using the --

6 DR. NETON: It's in the 2002
7 report, January 2002.

8 DR. ANIGSTEIN: Oh, is that the IT
9 report?

10 DR. NETON: U.S. Army Corps of
11 Engineers, IT Corporation.

12 DR. ANIGSTEIN: Okay. Yes. I'll
13 refer to that, but I confess I did not look at
14 it.

15 DR. NETON: There's a fairly nice
16 detailed map of all of the tunnels and --

17 DR. ANIGSTEIN: Okay. I will
18 certainly make note of that. As we continue,
19 I will certainly make note of that.

20 So, anyway, so I'll go on now that
21 we've explained that point. The other issue
22 that I have is with the model itself, not with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 the mathematics but with the -- did I just
2 skip it? Enlarge it.

3 So here is my understanding of the
4 model, of Dave Allen's model. We have the
5 tunnel, which is two by two meters. And
6 that's --

7 CHAIR ROESSLER: Bob, could we let
8 the people on the phone know that I think
9 you're on page 3 of your report?

10 DR. ANIGSTEIN: Yes, yes. That is
11 correct.

12 MR. KATZ: Figure 1.

13 DR. ANIGSTEIN: I'm looking at
14 figure 1. What I am looking at, pointing to
15 is figure 1 in the report. So we have the two
16 by two meter tunnel, which is a reasonable
17 configuration because that is about the --
18 smaller than that, men can't walk through.
19 And someplace in the IT reported a dimension
20 that small.

21 The depth is taken to be 100
22 centimeters. The depth of the bore holes are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 mentioned vary. In one place in the Bechtel
2 report, the remedial investigation report, it
3 talks about contamination being down to a
4 depth of 2.7 meters. So I don't think it can
5 be said that contamination does not go below
6 100 centimeters.

7 Also, I believe this must be an
8 oversight. The area for infiltration is taken
9 as if the contamination was only on one side
10 and not both sides of the tunnel because it's
11 -- and there's no reason why the soil -- even
12 if it was 100 centimeters depth, it would not
13 be on both sides.

14 And, furthermore, to be
15 conservative, I would have the contamination
16 on all four sides because the tunnel, first of
17 all, is most likely not flush with the
18 surface. It's probably somewhat buried.
19 Otherwise it's not really a tunnel. It's a
20 covered trench.

21 So we probably have soil on top.
22 It might very well be contaminated. And if it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 does go down as far as 2.7 meters, there could
2 be soil underneath that is contaminated and
3 certainly on both sides.

4 So if we accept the ten percent
5 crack, which my comment is simply I have no
6 idea whether it's a good number or a bad
7 number -- I think it needs to be -- before you
8 can use that in a model, there needs to be
9 rationale. There needs to be some
10 documentation, some literature or some
11 explanation of why ten percent is a good
12 number.

13 But since I have no other number,
14 I have provisionally adopted it, accepted it,
15 adopted it, even though I don't agree with it,
16 necessarily agree with it.

17 And, therefore, I come up with an
18 infiltration area, which would be per linear
19 centimeter would be 80 square centimeters.
20 Dave's is ten square centimeters because he
21 said, "Okay. We take one linear centimeter
22 along the length of the tunnel. We assume 100

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 centimeter depth. So one times 100 is 100.
2 Then we take ten percent of that. We get
3 ten." By the same logic, by going eight times
4 that, I get 80.

5 Also, the higher concentration of
6 the 28, the next thing -- and let me just go
7 to the parameters. Okay. The next thing is
8 emanation coefficient here is a very -- it
9 should be consistent with the drawing,
10 however, that seems to be unrealistic, .3 is
11 a typical emanation coefficient used for
12 soils.

13 It could be a little higher.
14 Sometimes it could be much lower. It depends.

15 Interestingly enough, it depends on soil
16 moisture. If the soil is moist, the water in
17 the soil tracks the radon coming out of the
18 soil particles.

19 And, whereas, if the soil is dry
20 and there is only air there, one soil particle
21 is embedded in another soil particle and never
22 makes it into the air. So you can get as low

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 as .1, but, anyway, I took .3 as the number.

2 The actual soil density, particle
3 density, assuming that the final soil density
4 is 1.6 -- this is just a little technical
5 matter because it won't affect the outcome.
6 The soil porosity of .6 is not a realistic
7 number, .3 is a common soil porosity. And
8 you end up with a particle density of 2.29.
9 The two cancel each other out. So it does not
10 affect the outcome and, as I said, the radium
11 concentration of .28.

12 This diffusion coefficient is not
13 a conservative, climate-favorable number.
14 This happens to be the value in RESRAD-BUILD
15 in the original RESRAD for soil. And
16 basically the default parameters in RESRAD are
17 placeholders.

18 The programmer writes a program.
19 He can't run the program without having some
20 numbers in place. So he puts in some
21 arbitrary numbers. They're based on some
22 reasonable assumption, but they're not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 guidance. And the same, there is the -- put
2 out by the same group. Charley Yu is the
3 senior author.

4 The data collection handbook for
5 RESRAD discusses the range of measured values
6 and reported values of radon coefficient. And
7 the one -- I came on this value because they
8 had a value listed of 3.5 times 10^{-6} meters,
9 meters squared, which comes out to 3.5 times
10 10^{-2} in centimeters plus/minus 1.5.

11 So if we take the 1.5 to be a
12 standard deviation and we take the 95th
13 percentile, multiply standard deviation by the
14 magic number of 1.645, I get 5.67 as the 95th
15 percentile diffusion coefficient.

16 Then, as I said, the area of being
17 80, the other number, this number is -- I'm
18 just mentioning it. Actually, it's not in the
19 calculations. I'll get the 80.

20 And, using these numbers and using
21 the equation for the median for the
22 symmetrical situation, which we have confirmed

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 to be mathematically correct, I get 293
2 rounded off versus the 26.

3 The main driver is probably --
4 well, two main drivers ought to be I guess all
5 of these, but eyeballing it, it seems to be
6 the area that drives it, the area is 80 times
7 increased. And the concentration seems to be
8 more than 8 times or 12 times.

9 Okay. Then the other issue is
10 going back -- I am sort of taking these in
11 sequence, but it is important -- is the
12 assumption is that all the radon comes in from
13 diffusion except on the walls of the
14 examination walls. And this is I believe
15 1988. And this is a posting on the web from
16 the Nuclear Medicine Society journal, comes
17 from the Journal of Nuclear Medicine. And
18 this is sort of their position paper on radon
19 in homes.

20 They give you the contributions
21 from various sources of the radon. The
22 soil-gas diffusion is the smallest on average,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 .1 to .2 becquerel per second coming in, the
2 soil-gas diffusion. Soil-gas transport, we
3 call a vector transport. Air flow could be as
4 low as zero, or as high as six. So it could
5 be potentially 60 times or even at the high
6 end 30 times higher than the diffusion.
7 Building material which doesn't pertain here.

8 So, again, I did a very
9 simple-minded calculation. I said, well, you
10 have this one-tenth of an air change per hour.

11 Now, what if the tunnels were completely
12 sealed, there were no -- all the entrances
13 were sealed and weather-stripped and the fan
14 is pulling and the only place the fan can pull
15 that air is through the soil so you have
16 essentially the air in the pores of the soil
17 being drawn into the tunnel and that's the
18 only source of air?

19 So eventually you will have the
20 equilibrium radon concentration in the soil,
21 the soil pores, will be the concentration in
22 the tunnel. And if you make this assumption,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 you end up with 45,000 picocuries per liter.

2 Now, I'm not saying that you can
3 get that number, but I'm saying -- I'm just
4 pointing out that you cannot neglect the
5 advective transport because, both by
6 observation and by this simplistic
7 calculation, it can account for more --
8 diffusion is an extremely slow process.
9 Advection is not.

10 An example I ran across a couple
11 of years ago working, doing a study on the --
12 I think the issue has been long ago settled --
13 the K- 65 silos at Fernald. They were
14 concrete. They contained a lot of radium.

15 If you look at the diffusion
16 calculation, the radon never gets out because
17 it's so slow that it decays. By the time it
18 reaches the outside air, it's mostly decayed.

19 And there will be very little radon. And,
20 yet, the measurements of radon are much
21 higher.

22 And the reason is you had day and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 night, the temperature, the air gets warm in
2 the daytime and cool at night, in the silo,
3 which remains pretty much constant. So you
4 would have pressure differences.

5 Part of the day there would be
6 lower pressure inside than outside. Other
7 times, another 12 hours, there would be higher
8 pressure. The silo breathed, once a day
9 respiration. And a lot of radon got out.
10 Houses in the same way breathe.

11 And there is no reason to believe
12 that the tunnels would not somehow also have
13 pressure differences, whether it's diurnal
14 pressure differences caused by the ventilation
15 or whatever or the pressure differences that
16 would draw the soil, some of the pore air,
17 into the tunnel. And they could be a much
18 greater effect than the diffusion.

19 Finally, which, again, would be a
20 smaller effect, is the concept of the
21 one-dimensional model. If there is -- I
22 figured there was contamination on both, on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 all sides. It would not go linearly, would
2 not go just this way, this way, this way. It
3 would go around the corners. There would be
4 other areas.

5 Furthermore, if there are cracks,
6 this is already a macroscopic phenomenon. The
7 cracks have some separation. And the radon
8 would not simply stop dead when it comes to
9 this.

10 Let's say these are the cracks,
11 cracks right here, and in between, there is
12 solid concrete. What happens when the
13 diffusing radon hits the solid concrete? It's
14 going to diffuse up and down. It's not going
15 to simply stop dead.

16 So you no longer have a
17 one-dimensional model. You would have a
18 two-dimensional up and down. And then there
19 would be also -- there would be a Y. If this
20 is the X component, you would also have a Y
21 and a Z component. If the cracks are in the Z
22 direction, you would have Y.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 And then there would be the
2 stratification -- Dave actually mentioned that
3 -- they would have in the Z direction, whether
4 this would give you higher or lower. Yet,
5 some of it might diffuse out, but some of it
6 also might diffuse downward and pass through
7 this part. Even if you accept 100-centimeter
8 depth, they might go towards this part of the
9 tunnel.

10 So the one-dimensional model in my
11 mind really is not bounding. It would be fine
12 if you say, well, that is more bounding than a
13 three-dimensional model. I'm not convinced.
14 I think that remains to be seen. I recognize
15 that it would be extremely difficult.

16 You probably could not solve the
17 differential equation. You would have to do a
18 numerical solution by mapping the field and
19 doing computer simulation. And I, for one,
20 wouldn't know how to do it, but I wouldn't
21 want that task at this moment. But that is
22 still another critique.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 So I think that's pretty much -- I
2 think I pretty much summarized this.
3 Basically in this instance, we don't have the
4 answers, but we have questions.

5 DR. OSTROW: Bob, could I ask a
6 question?

7 DR. ANIGSTEIN: Yes.

8 DR. OSTROW: Crack size. You are
9 assuming now, NIOSH's model assumes, ten
10 percent crack fraction.

11 DR. ANIGSTEIN: Right.

12 DR. OSTROW: The result of the
13 concentration, is that linear with crack
14 fraction? If you assume there was no concrete
15 whatsoever, in the extreme, 100 percent crack,
16 would that multiply it by ten --

17 DR. ANIGSTEIN: Yes.

18 DR. OSTROW: The linear function?

19 DR. ANIGSTEIN: Well, let's see.
20 According to the one-dimensional model, yes,
21 it is linear with the crack.

22 Oh, yes, and the one thing I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 forgot to mention is the concrete in between
2 the cracks is not impermeable. There is a
3 diffusion coefficient for concrete. It's
4 about ten times lower than the diffusion
5 coefficient for soil.

6 But seeing that the concrete
7 barrier is relatively thin, I mean, we're
8 talking about drawing in from a soil depth of,
9 what, three meters. And the concrete would be
10 a few inches, the most, you know, in the tens
11 of centimeters. There would be somewhat of 90
12 percent of the uncracked concrete would still
13 be conductive. So that's another issue with
14 the model.

15 Plus, the movement, the movement
16 around the soil, around the concrete pillars,
17 let's call them, to get into the cracks would
18 also be. So yes, I don't and we just don't
19 feel that this model is a bounding, impact to
20 bounding model.

21 Any other --

22 CHAIR ROESSLER: Does anyone have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 any questions of Bob before we continue?

2 MEMBER LOCKEY: Yes. Bob, I have
3 a couple of questions. I'm interested in the
4 silo. The silos at Fernald are underground?

5 DR. ANIGSTEIN: No. They're above
6 ground.

7 MEMBER LOCKEY: They're above
8 ground. All right. So these tunnels are
9 underground?

10 DR. ANIGSTEIN: Yes.

11 MEMBER LOCKEY: All right. And
12 how would you have -- I just need to
13 understand how you would have temperature
14 fluctuation to allow the tunnels underground
15 to breathe.

16 DR. ANIGSTEIN: Just in the soil.
17 There might be temperature fluctuations in
18 the soil more than in the tunnels. I don't
19 really have a mechanism for that.

20 MEMBER LOCKEY: I can't imagine
21 how underground how the temperature
22 differentiates from the soil/tunnel, may

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 differ unless the tunnel is heated for
2 comfort.

3 DR. ANIGSTEIN: Well, the air --
4 no. But the fact that there is a fan pulling
5 air through the tunnel, that means outside air
6 is coming through, not coming through the
7 soil. So there would be some possible reason
8 for temperature difference. And just the
9 movement of the air itself would cause some
10 pressure gradient.

11 I'm just throwing these out as
12 possibilities, not as the hard fact. But yes,
13 your point is well-taken. There is a
14 difference.

15 CHAIR ROESSLER: It seems the
16 bottom line to your report, Bob, is that SC&A
17 has no problem with the equations nor the
18 parameters for doing the radon doses from the
19 surface contamination, right?

20 DR. ANIGSTEIN: That is correct.

21 CHAIR ROESSLER: Your problems all
22 lie with the diffusion model?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 DR. ANIGSTEIN: Yes.

2 CHAIR ROESSLER: And you have
3 brought up a number. You said the map is
4 okay, but you brought up a number of questions
5 about the parameters there. Some of them seem
6 rather large, and some of them seem quite
7 questionable.

8 I guess the question for the Work
9 Group and the people assembled is, where do we
10 go from here with regard to those questions?
11 Obviously SC&A has not accepted NIOSH's
12 bounding on this. So if anyone has any
13 suggestions, I would be --

14 MR. KATZ: It seems like DCAS
15 should respond in a report as a first step.

16 MR. ALLEN: I was just going to
17 say I would like to point out a couple of
18 things. You know, one, it seemed like one of
19 the biggest factors there in the difference
20 between the numbers Bob was talking about what
21 we got in the report was that factor of eight
22 difference in the area, probably the largest

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 difference, I would guess, but I'm not
2 positive on that.

3 That is assuming the same radium
4 concentration all around the tunnel. The
5 reason we used the top three feet or one meter
6 was that was where the bulk of the
7 contamination was. And we used samples that
8 were in the top three meters or top one meter.

9 If you were to assume a uniform
10 distribution, you're going to have to use
11 samples that include those below that. And
12 that does lower the concentration that you
13 would use if you do any kind of statistical
14 analysis on the samples.

15 I did do that. I ended up with a
16 lower number. That's why I decided to keep
17 the top one meter. And that cuts down to,
18 what, about two, maybe three times, instead of
19 eight.

20 Also I've mentioned before that
21 some of the higher soil concentrations come
22 from areas well away from the tunnels. And

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 they really shouldn't be used in a more robust
2 type of analysis.

3 Neither Bob nor I accounted for
4 diffusion into the air, which is also going to
5 lower the soil concentrations considerably --
6 the radon concentrations in the soil.

7 And the thing that neither one of
8 us accounted for because it is a more
9 complicated model to do would be the rate of
10 diffusion into the tunnel is proportional to
11 the difference in concentrations, the radon
12 concentration in the soil versus the radon
13 concentration in the tunnel.

14 There is radon in the tunnel from
15 surface contamination of radium. And that
16 slows the diffusion rate down. That is not
17 accounted for in the models.

18 DR. ANIGSTEIN: Correct.

19 MR. ALLEN: And if you simply
20 multiply by the area that's around the tunnel,
21 it is not a simple addition, even though
22 that's what I did in here. In reality, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 higher the concentration in the tunnel, the
2 slower the diffusion rate into it. You reach
3 a maximum point. It will increase it, but it
4 won't double it if you double the area.

5 All those things kind of go
6 together to -- you know, if you get closer to
7 reality, brings us to the numbers we got and
8 the numbers Bob got closer to each other. And
9 I think there's a number of things to indicate
10 that we are conservative with a number of the
11 assumptions, including not accounting for the
12 emanation into the air, not accounting for the
13 radon that's already in the tunnel.

14 The ten percent crack side, I
15 agree that there's no basis for it other than
16 I think we could probably get a structural
17 engineer to say that's not going to be a --
18 you know, that tunnel is not going to stand
19 for 20 years, if it has that much of an open
20 area.

21 I think that's the bulk of what I
22 wanted to say.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 CHAIR ROESSLER: What you've done,
2 if I understand it right, is you have taken
3 all the things he discussed and kind of rolled
4 them into one. You talked about his factor A
5 that he said should be a great deal higher.
6 Then you talked about a lot of other things.
7 I think what you're saying is it all sort of
8 evens out.

9 MR. ALLEN: I believe it would. If
10 you account for everything in the most robust
11 way, I think your numbers are going to be
12 considerably closer. And it's going to be
13 closer to what we have.

14 It's not a simple times eight the
15 area. And the concentrations, you can't use
16 the top three feet of the radium
17 concentration. You'll assume it goes all the
18 way down that level.

19 Like I said, we don't account for
20 the emanation into the air, which is another
21 big radon sink. And, again, the
22 concentrations that are the largest are well

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 away from the tunnel, at least spot checked in
2 some of the higher concentrations.

3 CHAIR ROESSLER: I think we need
4 to get to ask SC&A whether they want to go
5 through this one item at a time or how you
6 want to handle it.

7 DR. MAURO: I just wanted to put
8 out something that has been in my head.
9 Really, from the very beginning -- and the
10 thing which we didn't do but I have been
11 thinking about, I wanted to play out the
12 sophisticated model.

13 In my world, I deal with simpler
14 models. And whenever I run into radon in
15 soil, I ask myself a very simple question. I
16 would like to hear from everyone around the
17 table, certainly Bill on the phone, a
18 different way to come at the problem. And it
19 may not be a good way to do it, but it's how I
20 think about it, which is a lot different. And
21 there may be some value to discussing it,
22 maybe not.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 You know, I am just picturing that
2 you've got the tunnels and you've got the soil
3 to varying degrees from painting radium-226
4 around it. And we have a fan that air is
5 being drawn out.

6 The air that is being drawn out is
7 sucking out, sucking on, creating a negative
8 pressure between inside and outside. The air
9 that is coming out, some of it is going to be
10 because it's drawing air in through cracks,
11 openings, diffusion through the concrete or
12 whatever. And certainly there are probably
13 other openings to the atmosphere where air is
14 coming in.

15 So what you have is you have radon
16 coming in because there's a fan sucking this
17 thing out. And you have clean air coming in,
18 too. We don't know how much.

19 But I ask myself the question,
20 okay. A very simple problem. We know from
21 the diffusion coefficients -- tell me if I'm
22 wrong about this -- the diffusion coefficients

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 and placing sort of an upper bound, doesn't
2 that tell you about how far away from the
3 outside wall of the tunnel, of the tunnel,
4 where any radon that is produced can possibly
5 reach the tunnel before it decays? Okay?

6 DR. ANIGSTEIN: And the base model
7 actually shows and I confirmed that the center
8 of the symmetrical contamination is three
9 meters away.

10 And then you have -- that is the
11 most you get. If you go beyond three meters,
12 it levels off.

13 DR. MAURO: Okay. So let's say
14 this is three meters. Okay? By the way --

15 DR. ANIGSTEIN: The center, the
16 maximum concentration is at three meters.

17 DR. MAURO: Well, I'm asking a
18 different question. I'm picturing a radon --

19 DR. ANIGSTEIN: It's comparable to
20 what you're asking.

21 DR. MAURO: I want to -- it's the
22 essence of how I'm thinking about it. Radium

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 decays. Pop. A radon atom is produced. And
2 for the time being, let's just make believe it
3 finds its way into the pore space. You know,
4 I would like the one emanation coefficient
5 just so we can talk about it. And now, boom,
6 it's produced.

7 And now because of the delta P
8 created --

9 DR. ANIGSTEIN: That's totally
10 different. That's not this model.

11 DR. MAURO: Yes. Stay with me,
12 though. Because of the -- well, I mean,
13 that's the question I'm putting on the table.

14 Now, I had mentioned that I worked
15 with Vern Rogers and Associates 15 years ago,
16 where he was looking at this class of problems
17 for homes. And I remember him reporting to
18 you all distinctly -- I had to look through my
19 deep, buried archives to find them.

20 And he was talking about a
21 distance of about five meters, just bear with
22 me, from the wall of the basement that -- if

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 it is more than 5 meters, that -- even though
2 you have a delta P in the house, not because
3 you've got a fan, there's just a natural --
4 especially during the winter, because of the
5 temperature changes, you've created a delta P
6 between inside and outside.

7 And his work said, well, any radon
8 that's in typical soil -- of course, it
9 varies depending on the kind of soil and a lot
10 of parameters, but as a rule of thumb, he said
11 that, you know, if it's beyond five meters, a
12 radon atom that shows up. And it starts to
13 migrate because of the delta P, not diffusion,
14 because of delta P. It's not going to get
15 there if it's more than five meters away.
16 It's going to decay, turn into the short --

17 DR. ANIGSTEIN: You're basically
18 saying that the radon moves at about a meter a
19 day.

20 DR. MAURO: Okay.

21 DR. ANIGSTEIN: Because its mean
22 life is around four days.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 DR. MAURO: Okay. Well, I'm
2 giving you a concept right now. So what that
3 means to me if I was going to come at the
4 problem, is if I know this is correct,
5 whatever that distance is, every radon atom or
6 perhaps 30 percent of the radon atoms, if you
7 want to go with an emanation coefficient of 30
8 percent, is going to end up in that array.

9 So I've got picocuries per second
10 -- okay? -- coming into that box. In other
11 words, you know, assuming that, great, simple.
12 It's an easy thing to do.

13 And, now, I also know that the air
14 turnover rate is some λ . Okay? That
15 gives me the number of pure picocuries that
16 are in equilibrium in the air in that tunnel.

17 I've got to divide that by the volume of the
18 tunnel. I get picocuries over here. That's
19 how I would have done it if it's doable. That
20 is much easier for me to understand because I
21 --

22 DR. NETON: You are going to end

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 up with an extremely large concentration, I
2 think, for some reason.

3 DR. MAURO: You would get an
4 extremely large concentration. Is that right?

5 DR. ANIGSTEIN: Sure.

6 DR. MAURO: And, now, the reason
7 you get -- you're saying that, in reality,
8 this little movie I have in my head -- it
9 doesn't work this way.

10 Okay? Okay. And the reason it
11 doesn't work this way is because, what,
12 there's a barrier preventing all of that
13 radon? I mean, because in reality, this is
14 what is happening.

15 You're saying something is
16 preventing this from happening. Is the reason
17 that you don't go out that far or is the
18 reason that there actually is a concrete wall
19 here, so you're not going to get -- it's going
20 to prevent it from entering?

21 DR. ANIGSTEIN: We've got that.

22 Remember, I did this concept on --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. MAURO: You did?

2 DR. ANIGSTEIN: Concentration over
3 the phone for you.

4 DR. MAURO: Oh, okay.

5 DR. ANIGSTEIN: And we come out
6 with taking all of that. Basically what we're
7 doing is, it's the same as we took all of that
8 radium, the five --

9 DR. MAURO: Right.

10 DR. ANIGSTEIN: And put it on the
11 surface.

12 DR. MAURO: Right, lock it inside
13 the box.

14 DR. ANIGSTEIN: They're saying
15 every bit of it is going on.

16 DR. MAURO: It's coming in, yes.

17 DR. ANIGSTEIN: It's the same
18 thing as if it was all inside.

19 DR. MAURO: Yes, sure. That's
20 true.

21 DR. ANIGSTEIN: And you'll get in
22 the tens of thousands.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. MAURO: Okay. So that just
2 can't happen.

3 DR. NETON: It's an interesting
4 exercise that came out to be two picocuries
5 per liter, or something.

6 DR. MAURO: Then it would be okay.

7 DR. NETON: All of a sudden, it
8 starts out. In a very broad-brush
9 approximation, it's okay. You're okay. But
10 in this case, it's --

11 DR. MAURO: And when you would
12 argue what belies that is the fact that in
13 this other tunnel where they did that, you're
14 not seeing that. You're seeing something
15 lower.

16 DR. NETON: Part of it. Part of
17 it, yes.

18 DR. MAURO: Thanks for bearing
19 with me. I wanted to get it off my chest.

20 MEMBER LOCKEY: If the movement is
21 going to soil, what did you say, one meter a
22 day?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 DR. ANIGSTEIN: I'm just using
2 John's -- I just did derive that quickly.
3 John says that everything within five meters
4 makes it.

5 And the mean life of radon is
6 around four days. So, therefore, it takes
7 four days to go five meters. So I just said
8 meter a day.

9 MEMBER LOCKEY: Does it take four
10 days to go through five meters of concrete?

11 DR. ANIGSTEIN: No, not concrete.
12 Five meters of soil.

13 DR. MAURO: Once it hits the
14 concrete, I don't know. I don't know. See,
15 what I'm assuming is that there are no cracks
16 and openings and porosity to the concrete.
17 And if not, the concrete isn't there because
18 --

19 MEMBER LOCKEY: Without it, there
20 is no concrete.

21 DR. MAURO: Yes. And then why I
22 would think that way is that there is a motive

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 force, right, like I was talking about before.

2 Okay? It's going to start moving. If the
3 atom comes in, it's going to fall where the
4 delta P is sucking it in.

5 In other words, even though there
6 is a wall here, if there are a number of
7 cracks, it's going to find its way through the
8 crack because there is a delta P. It's not
9 that it's diffusing. See, if it was diffusing
10 in classic diffusion, it would just be doing a
11 random walk. It would bind into the concrete
12 and keep walking.

13 But if there's a delta P, maybe it
14 will be moving. It may -- and when it starts
15 to approach the crack, it will bend and go
16 through the crack. It will be sucked in to
17 where the cracks are.

18 So, for all intents and purposes,
19 if that's the way you think about the problem,
20 there is no concrete there. If there is that
21 delta P, it's going to bring it in.

22 But, then, Jim, correct me if I'm

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 wrong, well, Bob just said you came up to
2 numbers that are off the charts.

3 DR. NETON: Yes.

4 DR. MAURO: And the fact is that
5 if that were true, you would have seen -- you
6 know, the numbers you actually did measure
7 weren't that high. And in homes, the reality
8 is, typical concentrations in homes are around
9 one picocurie per gram out here.

10 And what they're seeing -- well,
11 the highest you see is about, like the Watras
12 home. Typically in homes, they're 10, maybe
13 20 picocuries per liter.

14 But this is how I was thinking
15 about how I originally would have done it
16 myself, but I bowed to your understanding of
17 the problem.

18 It just can't be that high. It
19 just can't be.

20 CHAIR ROESSLER: Chris.

21 MR. CRAWFORD: Gen, I just wanted
22 to add some historical perspective that is not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 talking about the model directly. I found in
2 chapter 4 of the 9026 document --

3 DR. ANIGSTEIN: Right.

4 MR. CRAWFORD: Which is chapter 4
5 of the larger report --

6 DR. ANIGSTEIN: Right.

7 MR. CRAWFORD: That the deepest
8 contamination found inside area 4 was 2.7
9 meters.

10 DR. ANIGSTEIN: Right, right.

11 MR. CRAWFORD: However, on a
12 previous page, I found this, which is for a
13 very similar bore hole, it's B29, R38, as
14 opposed to R36.

15 DR. ANIGSTEIN: Say it again.

16 MR. CRAWFORD: There's another
17 bore hole nearby.

18 DR. ANIGSTEIN: Yes, right.

19 MR. CRAWFORD: And the notation is
20 this, "The bore hole gamma log reading showed
21 that radioactive contamination may extend to a
22 depth of 2.4 meters, as opposed to 8.7 -- 8

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 feet." Why? "The field log indicates that the
2 radioactive contamination was moved to this
3 depth during installation of the peak PVC pipe
4 prior to gamma logging --"

5 DR. ANIGSTEIN: I saw that, right.

6 But the other --

7 MR. CRAWFORD: And other results
8 confirm that radioactive contamination in the
9 area of B29, R38 does not extend to depths
10 greater than 1.2 meters, the depth of the fill
11 material."

12 DR. ANIGSTEIN: Okay.

13 MR. CRAWFORD: So is there some
14 reason to think --

15 DR. ANIGSTEIN: Yes.

16 MR. CRAWFORD: That since the
17 similar techniques were used at the same time,
18 that, really, the contamination was carried
19 down there in the process of taking the bore
20 hole and lining it?

21 DR. ANIGSTEIN: Oh, I see. Okay.

22 Okay. I'll accept that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Again, I have to say I'm not
2 saying I did a definitive analysis and I have
3 the answer. I'm simply saying these are
4 possible examples of where I find problems
5 with the NIOSH report. But I'm not saying use
6 2.7 meters. I'm saying that there are --

7 MR. CRAWFORD: Yes. I just wanted
8 to say that there is some perspective on that.

9 DR. ANIGSTEIN: Yes. I saw both
10 those statements. And I just said, well, the
11 2.4 had an explanation. The 2.7 didn't. So I
12 said that maybe that is real. But your
13 observation, your point is well taken.

14 MR. CRAWFORD: Also, I have looked
15 at some of the tunnel cross-sections. And the
16 tunnel near building 14 is actually surface,
17 in other words, the grade is the same as the
18 top of the tunnel.

19 DR. ANIGSTEIN: I see.

20 MR. CRAWFORD: In other places,
21 it's up to three feet below grade.

22 DR. ANIGSTEIN: Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. CRAWFORD: So depending on
2 what section of the tunnel --

3 DR. ANIGSTEIN: Sure. Well, of
4 course, a thorough analysis -- I'm not saying
5 we should make one -- would have to be, cut up
6 the tunnel into pieces, look at the radon
7 concentrations around each side, look at the
8 actual model of the tunnel, look at the
9 surface contamination in that particular
10 region. And it probably would be like, what,
11 a couple of man-years.

12 DR. MAURO: I've got something. I
13 hear what you said about that, but the reality
14 is there are homes where the concentration of
15 radon in the basement is hundreds of
16 picocuries per square liter, thousands. And
17 so it does happen. And you have to ask
18 yourself the question, what is going on?

19 You know, they know that the
20 concentration of the radium in the soil and
21 the rock and the soil is not high. You know,
22 it's two to three picocuries per gram.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 And all of a sudden, you've got
2 these concentrations in the basement.

3 Now, I know that there are a lot
4 of reasons for it. I believe in the Watras
5 house, which I think was in the thousands,
6 picocuries per liter, it was some type of the
7 distance over which the radon was being sucked
8 in was very large. In other words, there were
9 cracks, fractures.

10 So whatever the radon was
11 produced, I don't know how far out. It wasn't
12 that it diffused through clay and somehow made
13 its way to the basement. It was coming pretty
14 far away. It was being sucked in, almost like
15 you have pipelines out there, drawing it into
16 the house.

17 So the reality is that, in defense
18 of my little model, there are circumstances
19 and they are not that uncommon where just
20 normal levels of radium soil about the
21 basements of homes could result in
22 concentrations of radon inside homes that are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 not that low. They can get pretty high.

2 So you can't just dismiss what I
3 said that easily.

4 MR. CRAWFORD: Well, I'm glad you
5 brought it up because the hydrology -- and we
6 have good documentation here of hydrological
7 studies in that area and specifically the
8 Linde plant -- is that there's about three
9 feet of fill or topsoil, you might say, on top
10 of the ground. Beneath that is a layer of
11 dense clay. And there's a lot of perched
12 water in clay layers where it gets more
13 impermeable.

14 So we know we're not in the kind
15 of situation where diffusion is going to be
16 easy. Clay soils are very, very slow.

17 DR. MAURO: Advective or
18 diffusive, both. I mean, advective transport
19 or diffusive transport.

20 MR. ALLEN: I would also like to
21 point out that you --

22 MEMBER LOCKEY: I mean professional

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 courtesy.

2 DR. MAURO: I'm sorry? I can't
3 hear you.

4 MEMBER LOCKEY: I mean professional
5 courtesy.

6 MR. ALLEN: As a little side note,
7 from what you said there, I mean, do you know
8 the name of the guy's house from, I think it
9 was Pennsylvania?

10 DR. MAURO: Yes, the Watras case.

11 MR. ALLEN: Watras? It kind of
12 disagrees with what you said about it being
13 common or not uncommon --

14 DR. MAURO: The reality is there
15 is an enormous amount of data out there where
16 the concentrations in people's basements are
17 pretty high. Now, they're not up there with
18 the Watras, but they're pretty high. They're
19 in the tens to hundreds.

20 In other words -- yes, I'll give
21 you a good example.

22 MR. ALLEN: I don't disagree, but

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 tens to hundreds is pretty much where we're
2 coming out with a model. It's where the
3 measurements are in conveyor. And those are
4 unusual compared to most homes. I mean, there
5 are thousands and thousands and thousands of
6 homes that have been measured. And those are
7 the outliers. Those are --

8 DR. MAURO: Yes, granted.

9 DR. ANIGSTEIN: The interesting --
10 to me what was interesting looking at the
11 literature, it states that there was
12 essentially no correlation between the radium
13 concentrations in soil and the radon levels in
14 homes because it is a scatter graph.

15 Obviously, it's logical, but
16 obviously the radon comes from the radium, but
17 the other, the lithography, is overwhelmingly
18 more important.

19 And because I guess the radium
20 levels in naturally occurring radium can't
21 vary by more than a factor of ten, whereas,
22 the values in the homes varied by --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. MAURO: Thousands.

2 DR. ANIGSTEIN: Many orders of
3 magnitude.

4 MR. ALLEN: Well, I think that one
5 of the two biggest differences between a home
6 and a tunnel area is a decent amount of the
7 radon can come into a home through the water
8 supply and ends up being, emanating through
9 the house when you take a shower or et cetera,
10 that you're not --

11 DR. MAURO: Not important. And
12 this is very, very unusual that high levels --

13 MR. ALLEN: But no. The
14 ventilation that you see --

15 DR. NETON: The slab foundation of
16 the house or the basement is a pretty huge --
17 the radium is coming all -- we don't have that
18 situation here. We have the top.

19 We can argue what the depth is,
20 but a certain finite depth -- and that's all
21 it's going to contribute into this top. I
22 think that's a very different situation.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Houses sort of create their own
2 natural suction with furnaces and heaters and
3 -- I don't know. I don't know how the --

4 DR. MAURO: The numbers -- I'm
5 exploring. The numbers you came up with, you
6 have ten picocuries per gram of radium in
7 soil.

8 DR. ANIGSTEIN: 9.5.

9 DR. MAURO: And you have 30. So
10 there is a very classic number that people use
11 all of the time. It's picocuries per liter
12 indoors in a basement per picocuries per gram
13 of radium-226 in soil. Okay? And there are
14 tens of thousands of these numbers out there.
15 And the national average, that ratio was
16 1.24.

17 So, in other words, if you know
18 you've got one picocurie per gram of radium in
19 soil, infinitely around the basement,
20 infinitely around the basement, your best
21 estimate if you were going to randomly pick
22 any house in the country is that the indoor

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 radon concentration on that base would be 1.25
2 picocuries per liter. Okay?

3 Now, there is variability.
4 Variability is very large. What your number
5 comes to -- I can easily say it could be
6 easily 10 or 20, as opposed to 1.25, in some
7 homes, not all homes, some homes, depending on
8 the lithography, the delta P created in the
9 house, and the fracture, the degree of
10 fracture there is in the basement.

11 Now, what you're basically --
12 these are reality checks for me, weight of
13 evidence kind of thing. You're using a number
14 that's three, right? You're coming up with
15 ten picocuries per gram. And you're coming up
16 with 30 picocuries per liter.

17 DR. ANIGSTEIN: Twenty-six.

18 DR. MAURO: What's that?

19 DR. ANIGSTEIN: Twenty-six.

20 DR. MAURO: Twenty-six. Please.

21 A factor of three. So your number is three.

22 The national average for homes -- and I'm not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 saying this is a home, but what I do is I try
2 to always look at it from lots of different
3 directions if your numbers ring true.

4 And I have to say, notwithstanding
5 all the limitations of the model -- and I
6 think that there are some very serious
7 limitations of the model, the ones that Bob
8 pointed out.

9 Nevertheless, the number you come
10 out with, you know, 30 in relationship to the
11 ten picocuries per gram at -- you know, the
12 other measurement that was actually made in
13 this other place, I have to say it sort of
14 hangs together pretty nicely, notwithstanding
15 a lot of the problems with the models,
16 notwithstanding, you know, this is no robust
17 analysis, but what this comes to is like a
18 compilation of information that some places
19 along the line, you say to yourself does it
20 seem to ring true and make sense?

21 And I think, unfortunately, that
22 is where we are with this problem now. We

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 have collected a lot of information, thought
2 about it a lot of different ways. And does
3 your number come into place where it seems to
4 be there?

5 And I don't know what more you can
6 do. I mean, Bob did a parametric analysis to
7 look at other assumptions. And he's saying
8 that, no. These can be ten times higher.

9 And you give good reasons. Well,
10 not really. You know, if you did it, you
11 know, if you really wanted to start to sharpen
12 the pencil, maybe it's someplace between Bob's
13 numbers and your number. And everyone --

14 DR. ANIGSTEIN: I also used a .2
15 emanation coefficient.

16 DR. MAURO: Right. So you took --

17 DR. ANIGSTEIN: Right there, it's
18 lower by a factor of three.

19 DR. MAURO: Yes.

20 DR. ANIGSTEIN: And then the other
21 factors overcome it.

22 DR. MAURO: Right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIR ROESSLER: So I think what
2 Work Groups, what those of us who are on the
3 Work Group, need to know at this point, we
4 have had DCAS' presentation.

5 And we have had, John, your
6 people's interpretation. And I think we're
7 looking for -- and you had a lot of time to
8 talk about it. And I think we're looking for
9 SC&A's kind of conclusion.

10 But we do have a radon expert on
11 the phone. And I think I would like to, if
12 Bill is still with us, to have you give us
13 your interpretation or conclusions from all of
14 this.

15 MEMBER FIELD: I would be glad to.

16 And I think a lot of points that were brought
17 up have been very accurate.

18 One thing I just want to get back
19 to is just I think it's -- you say you keep
20 focusing on that this is not a home we're
21 dealing with, this is a tunnel, and the
22 behavior of radon entering tunnels or even

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 crawlspaces are a lot different than what
2 you'd see in a home.

3 There are some measurements that
4 I've performed in tunnels and worked with
5 different industrial hygienists throughout the
6 country. And where you see homes that have
7 one or two picocuries per liter, it's not
8 unusual to see several hundred picocuries per
9 liter where the tunnels or wires run or pipes
10 run. And every tunnel has its own character
11 and own behavior depending on the air flow,
12 obviously, and the surrounding soil and makeup
13 there that goes into the tunnel.

14 The other thing, I agree that I
15 think it's been 20 years since Nazaroff and
16 others have shown that advection is very more
17 important than diffusion. That's something
18 that I think is that -- and we know that that
19 is from the point of advection.

20 I think this is one of those rare
21 cases where we have a source. And this would
22 be the soil, just looking from the soil

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 contribution that's static. And radon changes
2 over time. And from the perception of a
3 soil-based source, the concentration of radon
4 should be able to be reconstructed, I would
5 think.

6 MR. KATZ: Bill? Bill? Bill?
7 Can I just -- I'm sorry to interrupt you, but
8 are you maybe speaking into a speakerphone?

9 MEMBER FIELD: No, I'm not. But
10 I'll try to change the direction here.

11 MR. KATZ: Okay. Because your
12 voice sort of comes in waves almost. We can
13 hear it, but it's hard to follow sometimes.

14 MEMBER FIELD: Okay. I can try --
15 let me -- is this any better?

16 MR. KATZ: Yes, I think so.

17 MEMBER FIELD: I guess I was just
18 saying, given the uncertainty in the radium
19 concentrations in the soil near the tunnel and
20 since we don't have historic information on
21 radon measurements in the tunnel, I mean, from
22 my perspective, it seems like the best way to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 move forward, if we could, would be to sample
2 of the radium in the soil around the tunnel
3 and perhaps perform radon testing of the air
4 in the tunnel. I don't think that it would
5 take that much time to do this.

6 One of the things that is a very
7 important constituent is the degree of soil
8 moisture surrounding the soil surrounding the
9 tunnel. I mean, that's going to, that can
10 change the emanation in the tunnel by a
11 significant amount.

12 And the other thing that was
13 mentioned about the clay, clay can be -- when
14 you're looking at radon, clay can work
15 different ways. If you have clay and water
16 underlying that, that actually impedes radon
17 movement, but there are many glaciers which
18 have clay soil that under dry conditions, they
19 crack. And you could have movement of radon
20 for tens of meters from the various sources.

21 If you have karst geology where
22 you have cracks, it would have to be just two

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 meters. That could move by ten meters
2 scooping the radon through soil under those
3 situations.

4 So clay can work both ways. It
5 can impede radon. But if you have cracks in
6 it, it could also be a conduit to pump radon
7 through. So I'm not sure we know the local
8 geology around this, but it seems like if you
9 have a constant source and the sources remain
10 the same as the tunnels put in, the only
11 variables are the ventilation rate in the
12 tunnel and the soil moisture.

13 I would think the testing could be
14 done and we wouldn't have to make so many of
15 the assumptions that we're making right now.

16 CHAIR ROESSLER: So I gather,
17 Bill, you're suggesting that some method to
18 resolves this, that measurements need to be
19 made?

20 MEMBER FIELD: Yes. I only say
21 that because it's a static source. It's not
22 like the source strength has changed over time

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 from the perspective of the soil. I mean, the
2 contamination, it may be much more difficult
3 to go back now and reconstruct what possible
4 contamination there may have been over time.

5 But I think based on what was
6 said, that this is just a tunnel that was
7 used, not like some of the other tunnels that
8 may have had higher contamination. Maybe that
9 is less of a concern.

10 I think now, we can make
11 measurements now that would be representative
12 of past concentrations. But, then, you still
13 get back to, no matter what the concentration
14 is in the tunnel, it would be good to get some
15 information on what the occupancy was, to come
16 up with an actual exposure because right now
17 we're just talking about concentrations. I
18 don't think we have a whole lot of information
19 about how much time was spent down in these
20 tunnels.

21 CHAIR ROESSLER: I think we've
22 brought up occupancy before. And I think

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 that's pretty questionable.

2 DR. OSTROW: Well, the occupancy
3 is not really an SEC issue. It's a dose
4 reconstruction issue. You know, after you
5 determine the concentration, you can multiply
6 by any occupancy factor you want to pick.

7 CHAIR ROESSLER: Good point,
8 Steve.

9 DR. NETON: Up to one.

10 CHAIR ROESSLER: I think what we
11 need to talk about here is, the final decision
12 here is, do we delay a decision today and say
13 that we're going to be doing more evaluations
14 for more measurements or do we take what we
15 have and go to the Board when we meet in Santa
16 Fe?

17 I think some of the questions that
18 come up or at least one question is, what are
19 the implications of what we're doing here
20 today on other time periods at Linde or other
21 facilities? Is this the sort of thing that we
22 need to pursue because there are -- because

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 other things depend on it?

2 DR. NETON: This is relevant with
3 the SEC petition for radon for Linde during
4 the covered period, which is actually being
5 presented at this upcoming Board meeting.

6 And, of course, the tunnels were
7 there during the covered period as well. I
8 think we have incorporated this same model
9 into that Evaluation Report that is being
10 presented. As a matter of fact, it affects
11 that.

12 MR. KATZ: One concern I have is,
13 it sounded quite uncertain as to whether we
14 could ever go and do measurements. I didn't
15 really --

16 DR. NETON: Well --

17 MR. KATZ: What is the take-home
18 message on that question?

19 DR. NETON: I think we have never
20 been told no. Right now we have been getting
21 sort of the run-around on authority to go in,
22 but no one at this point has said "You can't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 do it."

2 MEMBER BEACH: Well, the other
3 question that comes to mind is the authority
4 is one thing. But also, what is left of the
5 tunnels? I don't think at this point we know
6 what is left of the tunnels, do we?

7 DR. NETON: No. I think we know
8 that there are some portions of the tunnels
9 left. We don't know what are there.

10 MEMBER BEACH: And then we would
11 have to agree on whether those are
12 representative of what we're trying --

13 DR. NETON: I think if you could
14 establish, if you knew what the soil
15 contamination levels were around the tunnels
16 that you were measuring, you could come up
17 with some inferences.

18 I mean, if you know so many
19 picocuries per gram in the soil around the
20 tunnels that existed and then you go inside
21 and you take a measurement, it's --

22 DR. ANIGSTEIN: What about

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 ventilation?

2 DR. NETON: Well, you would have
3 to figure out something about the ventilation
4 of the tunnels.

5 DR. MAURO: I think that, clearly,
6 especially what Bill just said is that, you
7 know, modeling this -- and I like models, but
8 in this application, we know, boy, there are
9 an awful lot of variables here that are just
10 not very well-controllable kinds of things you
11 would just describe -- because I was assuming
12 even clay would be a nice barrier, but I think
13 what I just heard was, even clay, if it dries
14 out, creates fractures. And you could start
15 to suck in radon from pretty far.

16 So, in other words, the
17 application of a model to try to predict what
18 might be inside a basement or a tunnel is a
19 pretty tough nut to crack and to place a
20 plausible upper bound. And measurements
21 certainly would go a long way to bring closure
22 to this.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 But I also would point out that,
2 you know, even the measurements I think would
3 be one very important piece in the weight of
4 the evidence, just as is this other
5 measurement that we do have for this other
6 tunnel piece of information that goes --

7 DR. NETON: Right.

8 DR. MAURO: Very strongly toward
9 weight of evidence, in my mind even stronger
10 than the model. And if we had some
11 measurements in the tunnels themselves,
12 notwithstanding there might be some problems,
13 you know, how representative is it, are we
14 catching it at a time, at the right time, do
15 we take it up -- I mean, there are always
16 going to be those questions.

17 So, in the end, we would certainly
18 benefit if we can get some measurements in
19 those tunnels. But I still think that we're
20 still going to be having some discussion.
21 Okay.

22 DR. NETON: Well, I also think

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that it seems like a little more information
2 about these circumstances of the conveyor
3 tunnels that were there -- and I don't think
4 we ever went to try to determine what the soil
5 contamination levels might have been around
6 those tunnels --

7 DR. MAURO: And whether they had a
8 fan.

9 DR. NETON: And if they were
10 ventilated.

11 DR. MAURO: Yes.

12 DR. NETON: I think we actually
13 have the testimony of one of the claimants who
14 claimed he was in the tunnels doing work. If
15 that person were still available, he might be
16 able to tell us whether there was ventilation.

17 And then, more importantly, I
18 think to figure out -- or as importantly, what
19 were the potential levels of soil
20 contamination around there? And were the
21 tunnels actually of the same thickness and
22 everything? I don't know, but --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MEMBER BEACH: Jim, just let me
2 ask you, what bearing would that have on the
3 utility tunnels? Would it only substantiate
4 the model or -- because the utility tunnels
5 were not connected to the conveyor belt.

6 DR. NETON: No, but it would give
7 you an idea of it's sort of a -- geology. Yes.
8 The local circumstances are still there.
9 It's buried in the same type of soil. If you
10 knew the contamination levels and if you know
11 the tunnel wall thickness were the same -- I
12 hate to use the word "surrogate," but it would
13 be a mock-up, essentially, of a potential of
14 what would be in the tunnels.

15 If you knew the ventilation, is it
16 existent ventilation, nonexistent ventilation,
17 I mean, it's an underground passageway in the
18 same environment as utility tunnels, as close
19 as we could establish, if we could determine
20 that.

21 And we know that the maximum
22 values are 46 picocuries per liter. And you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 could argue: okay, maybe there was no
2 contamination of tunnels. Then that would
3 support the fact that it would be higher. The
4 highest it could possibly have been from
5 diffusion into the tunnels would be 46
6 picocuries per liter if there were no internal
7 contamination, that would put an upper bound
8 on the diffusion of radon into the tunnel.

9 CHAIR ROESSLER: Antoinette has
10 suggested that she would like to ask the
11 workers if they used the tunnels. And there
12 might be other information.

13 DR. NETON: I know there is at
14 least one claimant that had indicated that he
15 had done some work in or about the tunnels.

16 MS. BONSIGNORE: SC&A interviewed
17 all the workers at the May Board meeting.
18 They have all of this information.

19 DR. OSTROW: Antoinette, this is
20 Steve. I don't remember anybody mentioning
21 this conveyor tunnel. In fact, this is the
22 first I've heard --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MS. BONSIGNORE: No, they didn't,
2 but they may have a different term of
3 reference for it, though. I have a meeting
4 with the workers today. I will talk with them
5 later this afternoon and ask them about this.

6 MEMBER LOCKEY: Let me ask you
7 about, then would you go back and look at the
8 core samples that were taken within five
9 meters of the tunnel? Would that be -- you
10 took the core samples and you used those core
11 samples and compare those samples to the
12 samples outside the conveyor belt tunnel?
13 That seems to be very logical to me.

14 DR. MAURO: I think also, as Bob
15 pointed out, the relationship between
16 picocuries per gram in the soil and the
17 concentration inside, whether it's a tunnel or
18 a basement, is not very reliable. In other
19 words, so it's these other parameters, the
20 geology, the hydrology, the lithography. So
21 if the soil -- in other words, if the place
22 where --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MEMBER LOCKEY: They're the same.

2 DR. MAURO: If they're both
3 sitting in a place where, for all intents and
4 purposes, they're an awful lot alike, what you
5 have just done is gotten one big variable out
6 of the way.

7 MEMBER LOCKEY: Right.

8 DR. MAURO: Then say, "Okay.
9 Listen, we're talking about" -- because if you
10 find out they're very different, let's say you
11 go in and say, "Oh, my goodness. This is
12 sitting all in gravel, and it's a different
13 type of soil, different set of conditions.
14 It's at some distance to where the tunnel is,"
15 well, all of a sudden, the weight of evidence
16 goes against this other tunnel as being useful
17 to you.

18 But if, all of a sudden, you find
19 out, yes, you know, it looks a lot -- even
20 though the concentration of radium might be
21 different, we've got to -- yes, it looks like
22 it was a little bit higher near this tunnel

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 than that tunnel, then you can deal with that.

2 But if the lithography is
3 substantially different, I don't know if we
4 could deal with that.

5 MEMBER LOCKEY: So that's what I
6 was looking at. But if the soil is the same,
7 then you --

8 DR. MAURO: See, that's the whole
9 thing. That's what is the -- if you wanted to
10 do an -- in fact, I remember reading this --
11 an analysis of variance, what are the things
12 that caused the variability between these
13 things -- and the least of which was the
14 radium concentration. It was these other
15 parameters that drive the uncertainty in
16 predicting what might be the concentration of
17 radon in a location.

18 MEMBER GIBSON: I guess from the
19 other side of this, I would say how many times
20 are we going to go back and look for more
21 information to try to refine the model, to try
22 to see if SC&A's model and OCAS' model can get

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 closer together?

2 When are we just going to say the
3 exposure data isn't there and make a
4 recommendation that we disagree with NIOSH's?

5 CHAIR ROESSLER: Mike, that's a
6 good point. I was going to come to you and
7 Josie next because, you know, as a Work Group,
8 we are the ones who are going to make a
9 recommendation to the Board.

10 And my question to you was going
11 to be -- and I think you have already brought
12 it up -- would doing, delaying this, going
13 forward, and doing more measurements, doing a
14 better resolution, would this change your
15 conclusion?

16 MEMBER GIBSON: To me, it's still
17 just -- both groups are creating a model
18 because there's a lack of data. They go get
19 more data or more soil samples and stuff to
20 try to get their models closer together. That
21 doesn't tell me that the -- because the
22 workers' exposure data is not available.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 You know, I don't know that I
2 would agree with an upper bound, even if we do
3 take more measurements.

4 CHAIR ROESSLER: That's what I
5 conclude you would probably do. However, I
6 sort of hesitate to go to the Board myself and
7 make a presentation and say that we still have
8 some areas that aren't resolved.

9 I think from the scientific point
10 of view, particularly since this may impact on
11 other -- certainly on another Linde time
12 period. And I don't think I got an answer,
13 will this type of discussion impact other
14 facilities?

15 If those things are true, then my
16 feeling is that we have to continue and try to
17 resolve them.

18 MS. BONSIGNORE: If I could just
19 bring the workers' perspective into this for
20 just a moment? We are very confused as to why
21 it's appropriate to actually go out and gather
22 new radiological data.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 If you are making an assessment
2 that the data that you have right now has too
3 many variables or there is too much
4 uncertainty or there are too many assumptions
5 being made, the way to cure that problem is
6 not to go out and find, to actually collect,
7 new data. That to me seems completely
8 contradictory to why the SEC program exists.

9 If you don't have sufficient data,
10 the answer is not to go out and gather actual
11 new data samples from the site. The answer is
12 to recommend the approval of the SEC.

13 I really don't understand what is
14 going on here. And the workers are, quite
15 frankly, really distressed as to what is going
16 on within this Working Group.

17 I think you're working from a
18 perspective of you have to figure out how to
19 create a model. That is not what this program
20 is for.

21 You're not supposed to be favoring
22 creating models over SEC approval. You're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 supposed to be evaluating this petition on its
2 merits based upon the data that you actually
3 have right now.

4 CHAIR ROESSLER: Antoinette, I
5 have an answer to your question, but I see
6 John Mauro also would like --

7 DR. MAURO: Well, in the six
8 years, this is the first time I know of where
9 going out and making a measurement now might
10 add some important value.

11 And it's not -- I don't like the
12 model. Okay? I mean, here's the -- I don't
13 like the application of models to this class
14 of problems. I liked it for Blockson. I
15 don't like it here for the various reasons
16 that became apparent during this discussion.

17 What I do like is measurements.
18 And here is the one place, one time, where we
19 could actually go make some measurements
20 perhaps. Now, there will be some problems
21 with the measurements because of -- there are
22 things going on.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 So I guess, Antoinette, and I
2 usually don't step in at this point, but we're
3 not -- I don't think we should be depending on
4 the model. I think we should look at the
5 measurements made in the one tunnel and
6 convince ourselves the degree to which there
7 is parity between the setting in the tunnel
8 where we do have measurements. And is it
9 reasonable to assume that those measurements
10 made in that tunnel seem to be more or less
11 representative of what we might expect to
12 occur in the tunnels of interest?

13 But even that, I would say we
14 could do that. And that goes towards weight
15 of evidence. But, boy, would I like to see
16 measurements made in the actual tunnels, now,
17 notwithstanding the fact there may be some
18 limitations. And I'd like to have a full
19 appreciation of what those limitations are.

20 And then we will have information
21 that will put us in a place where we are not
22 depending on models, we are depending on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 measurements.

2 And the only question becomes, are
3 those measurements sufficiently complete that
4 we could feel comfortable that we could apply
5 them to the exposure that some of the workers
6 might have experienced back in 1954? And that
7 is the question we are going to have to
8 answer.

9 And we will not be depending on
10 models. We will be depending on whether we
11 think those measurements can be trusted.

12 MEMBER BEACH: And at this point,
13 we don't --

14 MS. BONSIGNORE: With all due
15 respect, John, I don't feel and the workers
16 certainly don't feel that the intention here
17 is to figure out how to recommend the approval
18 of this SEC.

19 Their feeling is that everything
20 that is going on here is a policy that favors
21 the individual dose reconstruction over SEC
22 approval, that that is the policy, that is how

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 you approach these evaluations, and that if
2 you go to the site next week, next month and
3 collect data, you are only looking for further
4 justification to recommend the denial of this
5 petition.

6 CHAIR ROESSLER: Antoinette, as I
7 look at this, I think in order to recommend an
8 SEC, we have to be convinced that dose
9 reconstruction cannot be done. From what we
10 know, if we know enough about the source term,
11 if we know enough about description of
12 activities and various other things, and can
13 come up with bounding numbers that we all feel
14 are very conservative, very much in favor of
15 the claimants, then I think we say that dose
16 reconstruction can be done. That is the
17 criteria I am looking for here.

18 What I think I am hearing is that
19 in order to really resolve this, we need to
20 explore these measurements. And I think
21 Josie's question about timing, though, is
22 really important.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 And I think before we even go
2 there, I think we need to look at when can
3 some soil measurements be done? What if you
4 could get into the tunnels?

5 I think, Jim, you mentioned that
6 if you were to use the electrets -- what is it
7 they're called? -- dosimeters to make these
8 measurements, that that might take weeks.

9 I don't think that's true. I
10 think there are some electrets which you can
11 use; you can get a result in a couple of days.

12 DR. NETON: Well, I think it
13 depends on how long you want to integrate the
14 measurement to get a --

15 CHAIR ROESSLER: But if you're
16 looking for kind of a --

17 DR. NETON: High point, yes.

18 CHAIR ROESSLER: Yes.

19 DR. NETON: You're right. We
20 could --

21 CHAIR ROESSLER: An upper bound
22 sort of thing, I think that could be done more

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 quickly. I think we're now looking to NIOSH
2 to give us some advice as to timing. I think
3 timing is what you were going to bring up.

4 MEMBER BEACH: Well, we had asked
5 for this three months ago. So, so far it's
6 been three months, and we still haven't got a
7 yes, we can go in and do it. So --

8 DR. NETON: I mean, to our credit,
9 we did send a letter out in August. And we
10 just got a response back.

11 MEMBER BEACH: I understand that.

12 DR. NETON: So we've established
13 communication, I guess. So it's started. But
14 I can't predict how much longer it would take,
15 if we could get agreement, and if we could,
16 how long it would take.

17 MEMBER LOCKEY: Are there really
18 two avenues here? Is the one avenue looking
19 at the core samples that are currently
20 available and putting them on the grid and
21 comparing the conveyor belt core samples to
22 the tunnel core samples?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Is that, in itself, enough data or
2 then is there a second step that you would
3 say, "Well, we're going to use that data, look
4 at a model," then that's a good sample, see if
5 it fits what the model shows based on looking
6 at the core samples that are already obtained?

7 I'm not saying -- I don't think
8 it's a good idea to go back and redo core
9 samples, but looking at the core samples that
10 are already there, look at the ones that are
11 five meters from the tunnel. Look at the ones
12 that are from building 30 and comparing them
13 to the measurements that are in the conveyor
14 tunnel versus what in 2002, what the model
15 shows for using those samples to come up with
16 what the exposure levels potentially could be
17 within the tunnels.

18 DR. NETON: I mean, that is doable
19 without any additional measures.

20 MEMBER LOCKEY: It seems to me
21 that that is doable. And I am going, John,
22 back, John, to what you said. If the soil

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 sample levels outside the conveyor belt areas
2 are known --

3 DR. MAURO: Known.

4 MEMBER LOCKEY: To some degree.

5 DR. MAURO: I don't care that
6 they're different.

7 MEMBER LOCKEY: No, no. Then you
8 --

9 DR. MAURO: And you also know that
10 the characteristics of the soil are similar
11 and this is a judgment call are similar, you
12 have created -- and the two answers to those
13 become yes, we have that. What I have done is
14 I think you have done as many great strides in
15 building the weight of evidence that you can
16 trust the measurements made in the conveyor
17 tunnel.

18 Now, on top of that, though, I
19 would say still I think that different
20 individuals have different thresholds. How
21 much evidence do you need to convince yourself
22 you have a boundary?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 I would say that if you also
2 pulled some air sample measurements enough
3 that you could characterize the radon levels
4 today in the tunnels we are concerned about,
5 well, now you have built the weight of
6 evidence that's becoming pretty weighty.

7 MEMBER LOCKEY: It's a two-step
8 process.

9 DR. MAURO: It's two steps.

10 MEMBER LOCKEY: And I am very
11 supportive of looking -- of course, the core
12 samples are already done -- putting them out
13 in a grid, looking at them, and making that
14 comparison. And while that is being done,
15 there can be a parallel step to see how easy
16 it is going to be to get into the facility.

17 But I don't think we should delay
18 this for umpteen times in the future because I
19 know the politics of trying to get into a
20 facility.

21 And people don't want you in.
22 They'll just give it to the legal counsel.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 And that will go on forever. I think that's a
2 bad idea.

3 CHAIR ROESSLER: Ted has a
4 suggestion.

5 MR. KATZ: Well, go ahead. I
6 mean, go ahead, Josie.

7 MEMBER BEACH: I was just going to
8 say then you get right back to the model,
9 NIOSH's model. And SC&A has already clearly
10 said they don't agree with it. So what do you
11 do with the model if you're going to put those
12 measurements in? And the basic model we don't
13 agree on are --

14 MEMBER LOCKEY: We've taken care
15 of -- most of the variabilities that are in
16 the model are going to be taken care of at the
17 soil samples and the soil consistency is the
18 same.

19 DR. MAURO: I would throw the
20 models away. I mean, I don't like the models.

21 MEMBER LOCKEY: Yes.

22 MEMBER BEACH: So that would take

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 --

2 DR. MAURO: Yes. So I want data.

3 I want data that says, listen, I --

4 MEMBER LOCKEY: And so if the
5 contamination outside the tunnels are
6 equivalent to what -- we have actual
7 measurements where there was radium rock being
8 transported. And those are relatively high
9 values. So you could say this is the worst
10 case situation.

11 CHAIR ROESSLER: Ted?

12 MR. KATZ: I have some thoughts
13 just for you to consider. I am concerned
14 about the actual feasibility of going in and
15 taking measurements, as to whether that would
16 come about given because, as somebody said
17 here, I know it's true. You can think you're
18 at the doorstep and it can take six months.
19 That happens all of the time when they are
20 doing epi studies and so on. It can take --

21 MEMBER LOCKEY: Years.

22 MR. KATZ: And I am concerned also

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 with Antoinette's point about going on and on
2 and developing data, as opposed to making
3 judgments based on what is on the table.

4 And I am not saying to you that
5 it's not okay to do that, to go get more. I
6 am just saying that I am concerned about it,
7 though, about given that this has been a
8 lengthy process already as well.

9 And so I am wondering if one sort
10 of way of possibly satisfying these tensions
11 might be you have until November to do some
12 things that you could do, at least with data
13 in-house and also to inquire, at least, about
14 accessibility. I mean, that would already put
15 you into middle of November but about
16 planning, in any event, to present.

17 So, in other words, sort of
18 develop your point of view. And it sounds
19 like we're probably going to still have a Work
20 Group that has different perspectives, as
21 opposed to one perspective, on this, but
22 develop your point of views, looking for the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 November Board meeting ahead. Plan to present
2 on that and explain.

3 One thing I think I need to say to
4 Antoinette in this discussion is I know some
5 of the pressure you feel is that you have
6 knocked out so many issues at this site that
7 you have put to bed, in effect, and now you
8 have this one remaining thing. And you sort
9 of hate to leave this one remaining item
10 incompletely addressed when you have knocked
11 out so many. And I understand that pressure,
12 but, then, again, there is still this
13 timeliness matter.

14 And so you could present to the
15 Board based on whatever information you have
16 at that point in November. You could also
17 explain to the Board, you know, what you have
18 knocked out already as well as this tunnel
19 issue and how this tunnel issue sits at that
20 point. And whatever prospect you have at that
21 point, you could explain that all to the rest
22 of the Board. And they could help you take

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 into consideration what do you do from here,
2 do you actually go for more or do you actually
3 then establish a Board decision based on the
4 information that is on the table at that
5 point.

6 I don't know, Antoinette, what
7 your perspective is on that proposal, but --

8 MS. BONSIGNORE: Well, we want
9 this over with. We want --

10 CHAIR ROESSLER: So do we,
11 Antoinette.

12 MS. BONSIGNORE: We don't want any
13 more surveys. We don't want any more delays.

14 We don't want to be told that you're still
15 searching for documents. This is absolutely
16 insane at this point.

17 MR. KATZ: Right. So that's what
18 I thought you felt. In this way, I mean, at
19 least, then, the judgment as to whether you go
20 and get more information at that point in
21 November is a judgment of the whole Board. It
22 doesn't just rest on your shoulders.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 And if the judgment of the whole
2 Board is we want more information, then you
3 have the debate based on what is already
4 accomplished by November.

5 DR. NETON: I have a brief update
6 from Stu. He just sent me an email. He just
7 spoke to the site manager at Praxair. And
8 she's asking the Corps to see if they can dig
9 up any radon data they have from the tunnels.

10 Unfortunately, the Corps had
11 changed contractors this spring. And they're
12 not familiar. No one on the project is real
13 familiar with what data had been collected.
14 So they're going back to the previous
15 contractor.

16 So that's ongoing. It may be.
17 And it would seem likely to me that someone
18 would have taken measurements in the tunnel at
19 some point. So that is ongoing right now.
20 Stu has got that put in motion.

21 She has also indicated that the
22 building 30 and the tunnel that runs beside it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 have been demolished. They are no longer
2 there. Some of the other pieces after what's
3 called junction 4, which is sort of right by
4 building 30, are still there, but they are
5 undergoing active remediation. And some
6 pieces may have been removed for
7 decontamination.

8 The situation is changing rapidly
9 there. It may be that there might not be
10 enough representative stuff left there to
11 survey. But I think this directive that she
12 put to the current contractor to go dig up
13 radon information I think is important.

14 CHAIR ROESSLER: And I think what
15 Ted has just said is really important, that we
16 probably should just take this to the Board
17 for the decision. I think that is going to
18 happen anyway because the way I have seen this
19 Work Group work and the way we have voted
20 before, it will probably be two to two. I am
21 assuming that, which means that, in any event,
22 we would probably go to the Board with a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 report and maybe a minority report is what I
2 had thought we would do. And this has
3 happened in other situations. And then the
4 Board makes the decision.

5 The thing I would like, though,
6 that is a little different here -- I will wait
7 until I have John's attention.

8 DR. MAURO: I'm sorry.

9 CHAIR ROESSLER: I think what Work
10 Groups depend on a lot is this whole
11 interaction between DCAS and SC&A. And I
12 think Work Groups put a lot of weight on
13 SC&A's final decision.

14 I think if you were to say, if
15 SC&A were to say, at this point, yes, I think
16 NIOSH can bound the doses, then I would feel
17 comfortable going ahead with the report that I
18 would make. And then I think we would have a
19 minority report.

20 But at this point I don't think I
21 see that quite from SC&A. And I guess I would
22 want to have just a little more time, like Ted

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 suggests, between now and the Board meeting in
2 November to see what NIOSH can find out and
3 what SC&A can weigh-in on that and at least
4 give us some sort of, give the Work Group some
5 sort of, SC&A yes or no or yes if, decision by
6 that time. And I would feel comfortable.

7 MR. KATZ: Well, just to be clear,
8 though, there's very little opportunity for
9 another Work Group meeting.

10 CHAIR ROESSLER: I know.

11 MEMBER BEACH: That was my
12 question. Would we do this via email or would
13 we --

14 MR. KATZ: I mean, it would not be
15 via email. This is really too important for
16 this to be something that is not handled in a
17 Work Group meeting if it's going to be -- I
18 mean, it's one thing if you're just saying to
19 SC&A, you know, "If you're saying to DCAS, you
20 know, see what you can get done between now
21 and then and then report to the Work Group and
22 SC&A and SC&A cogitate over what results from

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 that and make up your mind in time for the
2 Board meeting," that's fine. And that could
3 be a technical call for technical issues.

4 But if there's going to be
5 dialogue, discussion that is sort of
6 substantive on what judgment SC&A is coming to
7 before the Board meeting, that really needs to
8 be done in a Work Group setting.

9 MEMBER LOCKEY: You know, I am
10 going to go back to what I suggested before is
11 that the core samples are available. All
12 right? Why not map them out and have the two
13 groups look it? And then we'll go with the
14 weight of the evidence based on those.

15 And we can handle that just by
16 hearing the results by a conference call.
17 There won't be a discussion. It's not really
18 much change other than, this is what is
19 outside the tunnel in the conveyor belt. This
20 is what is outside the tunnels in the rest of
21 the facility.

22 DR. MAURO: But that goes not only

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 to the radiological concentrations but also
2 the characteristics of the soil.

3 MEMBER LOCKEY: That's correct.

4 DR. MAURO: Yes.

5 MEMBER LOCKEY: That's correct.

6 DR. MAURO: Absolutely.

7 MEMBER LOCKEY: And I think that
8 is doable if that information is available.
9 And that is doable in the time frame we're
10 looking at before the Board. I think we don't
11 have to delay to have --

12 MR. KATZ: We could do that
13 through a conference call.

14 MEMBER LOCKEY: Yes. And that
15 could be handled through a conference call.
16 It may be that we come up with the same
17 conclusions that some people think that's not
18 adequate for dose reconstruction. Other
19 people can say the weight of the evidence is
20 such that under most scientific conditions it
21 is adequate. But then let the Board decide.

22 MEMBER GIBSON: One of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 frustrations I have though, if that data is
2 available and we're sitting here in this
3 process well over a year now, why has it not
4 been used yet?

5 I mean, I don't care whether in
6 our recommendation to the Board on this or
7 whether it comes out of the Worker Outreach
8 Group, there is the issue of timeliness as far
9 as dose reconstructions and data.

10 DR. NETON: We just found this
11 radon measurement like two weeks ago. We had
12 no knowledge of this radon measurement until a
13 couple of weeks ago.

14 MEMBER GIBSON: I was under the
15 impression you had it longer than that.

16 DR. NETON: The measurement came
17 about after the model was developed, Dave's
18 model.

19 MEMBER GIBSON: How did you come
20 across it?

21 DR. NETON: ORAU found it in a
22 survey for another site. They were reviewing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 some data for I forget which -- ElectroMet.

2 MEMBER GIBSON: So it was in a
3 government database, but it had not been
4 sought out before?

5 DR. NETON: It was in an
6 ElectroMet report. And they said, well,
7 there's no tunnel in ElectroMet. What is this
8 all about? And it turned out they had done an
9 ElectroMet survey and a Linde survey sort of
10 in one path. And it was embedded in that.
11 That's how we found it.

12 MEMBER GIBSON: When all of the
13 data gathering things went on for this
14 particular site, it had not been ever up in
15 any searches or --

16 DR. NETON: No, no.

17 MR. KATZ: This happens all of the
18 time. I mean, people are constantly stumbling
19 into data for other sites in unexpected
20 places. It's sort of part of the problem with
21 disposition of records in this whole program.

22 CHAIR ROESSLER: And I don't think

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 we should totally -- that's just my view --
2 drop this modeling. I mean, this has been a
3 very well constructed effort to come up with
4 some bounding. And the way I see it -- and I
5 don't think we have enough time to really
6 discuss the details of it, that there may be
7 more agreement on this modeling than we really
8 realized.

9 Bob brought up some things. And
10 Dave responded. And my conclusion from what
11 Dave said is that some of the things may be
12 higher, some are lower, and that it probably
13 all comes out to the same value.

14 And so I don't think that we
15 really should throw that out.

16 DR. MAURO: The only reason why I
17 said I bound is that advective transport,
18 which is not treated, is the single most
19 important factor that drives the buildup of
20 radon inside basements and in tunnels.

21 Now, that being said and, plus
22 what we heard from Bill, advective transport

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 is driven by some very, very subtle
2 differences in the characteristics of the
3 soil, the fracture, particle size, water
4 content.

5 And you can't get -- in other
6 words, my experience in reading radon
7 literature for many, many years is that one
8 thing you really can't do is model the buildup
9 of radon in someone's basement.

10 In other words, people measure
11 radon in my basement. And they can measure it
12 in another development. It's going to be
13 completely different because the variables
14 are, you know -- so modeling radon buildup
15 doesn't work for the reasons we -- I don't
16 think it was a bad thing that we went through
17 this exercise. I think it revealed the
18 difficulties in trying to model radon.

19 Others may feel differently, but I
20 mean, this is what I walk away with.

21 CHAIR ROESSLER: Well, I think we
22 should hear from Dr. Field on this particular

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 aspect.

2 MEMBER FIELD: You're talking as
3 far as modeling radon?

4 MR. KATZ: Right.

5 MEMBER FIELD: I think it's very
6 difficult to do myself. As mentioned, there
7 are just so many factors to model. And what
8 we're working with now, we're working with on
9 the radium concentrations.

10 But I think what was stated
11 before, that what is important is what kind of
12 ventilation there is within the structure,
13 what is the soil porosity, what is the
14 underlying geological characteristics. And
15 these things are very difficult to model in my
16 opinion.

17 MEMBER LOCKEY: Bill, it's Jim
18 Lockey. If we go back, as I suggested, and
19 look at the core samples that have already
20 been done along the conveyor belt in building
21 30 and along the tunnels within five meters,
22 looking at those core samples and looking at

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 the concentration in the soil type, is that
2 worthwhile doing?

3 MEMBER FIELD: Well, I guess
4 you're asking me personally. I don't know if
5 it would be enough for some Board Members, but
6 if you have that information, I guess my own
7 personal opinion, I am still somewhat
8 skeptical that you may be able to do a
9 reasonable modeling with that information.

10 DR. MAURO: Could I add one point?

11 I wouldn't be doing collecting the data so
12 that I could model. I would be collecting the
13 data to see if the characteristics of the soil
14 in the vicinity of the tunnel that we do have
15 a measurement for, some measurements for, is
16 similar.

17 So measurements made in the tunnel
18 where we have data can be assumed to be
19 bound, bound, to concentrations you might
20 expect in the other tunnel where we don't have
21 data.

22 MR. KATZ: Could I ask a simple

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 question? Is there someone who knows about
2 geology, but is it likely -- is it that
3 geology would be highly heterogeneous within
4 100 yards? I mean, we're talking about the
5 same site all the same.

6 I mean, it's like a couple of
7 baseball fields we're talking about here. Is
8 it reasonable to expect that you would have
9 very different geology all in the same
10 ballpark?

11 MEMBER LOCKEY: If they use
12 backfill and use gravel against the tunnel
13 walls, that's going to be different than if
14 they used clay.

15 MR. KATZ: Right. But in terms of
16 what Bill was talking about, clay fracturing
17 and then conducting, you know, air under the
18 soil and so on at assumedly the whole site,
19 had the clay bedding and so on, I am just sort
20 of curious that it just seems a little odd
21 here that the tunnel and the building are
22 basically cheek by jowl.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MEMBER LOCKEY: Are what?

2 MR. KATZ: Cheek by jowl. They're
3 approximate to each other.

4 DR. ANIGSTEIN: I would have a
5 question for Bill. And that is in terms of
6 the clay, would there be seasonal or annual
7 differences depending on rainfall? Wet clay
8 if it's optimally wet is an excellent barrier
9 to diffusion. And dry clay is not.

10 MEMBER FIELD: I think you
11 described that accurately.

12 MEMBER LOCKEY: And maybe the
13 important thing about that is that the core
14 sample that is taken under building 30 is
15 going to be in a dry area. So that really is
16 going to be a worst case situation.

17 MS. BONSIGNORE: May I ask a
18 question from someone in DCAS about the other
19 Linde petition that you are planning to
20 present at the November meeting?

21 There isn't an ER yet for that.
22 Are these discussions about the residual

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 radiation petition going to affect the
2 conclusions you reach for the ER for the other
3 petition?

4 DR. NETON: Yes, yes, because the
5 tunnels existed during the covered period as
6 well.

7 MS. BONSIGNORE: Yes, I know. So
8 you say you're going forward with the other
9 petition in November, but there is no ER yet.

10 DR. NETON: Well, maybe I spoke
11 prematurely. The ER is being worked on. I
12 think it's our intent to have that ER
13 presented at the upcoming Board meeting.

14 MS. BONSIGNORE: But in order to
15 do that, don't we have to resolve this here
16 and now for this petition?

17 DR. NETON: Well, they're going on
18 in parallel.

19 MS. BONSIGNORE: I mean, they're
20 inextricably connected here. So you can't go
21 ahead with one without making decisions about
22 the other.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 DR. NETON: Well, it could be
2 presented. The same issue would exist under
3 both ERs, yes.

4 MR. KATZ: Antoinette, yes. The
5 bottom line is DCAS can make up its mind and
6 put out a report. It doesn't mean that it has
7 the support of the Work Group or anybody else,
8 but --

9 MS. BONSIGNORE: I understand
10 that. This is becoming increasingly difficult
11 for me to understand what is going on
12 technically. And when I speak to the workers
13 this afternoon, they are going to have a lot
14 of questions, questions that I can't answer
15 because this process has become so incredibly
16 opaque it's, quite frankly, becoming -- you
17 know, it's bordering on absurd because they
18 don't understand what is going on. They don't
19 understand why decisions are being made.

20 You know, it's really very unfair
21 to them because they have a right to
22 understand why you are making recommendations

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 or decisions based upon models or core samples
2 or whatever. And, you know, there is really
3 no avenue for them to understand what is going
4 on.

5 MEMBER LOCKEY: I think what I am
6 struggling with is that we have some sampling
7 data from perhaps a situation in the conveyor
8 tunnel that may be a bounding sample for this
9 particular exposure. But I'm not sure until I
10 know what the soil sample and the soil
11 consistency is around the tunnels versus
12 comparisons around a conveyor belt.

13 MS. BONSIGNORE: I'm sorry. Who
14 is speaking?

15 MEMBER LOCKEY: Jim Lockey.

16 MS. BONSIGNORE: Okay.

17 MEMBER LOCKEY: So those samples
18 are -- if the soil samples are similar and the
19 radon concentration around the conveyor belt
20 is equal to or greater than what is around the
21 tunnels, then the actual measurements that are
22 taken within the conveyor tunnel probably do

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 bound the upper limit in relationship to radon
2 exposure.

3 MS. BONSIGNORE: Dr. Field has
4 been saying that, from what my understanding
5 was, that he doesn't believe that it can be
6 bound.

7 CHAIR ROESSLER: No. He is
8 questioning the modeling. These would be
9 actual --

10 MEMBER LOCKEY: Yes. This is not
11 -- these won't be used in a model. These are
12 just verifying that the actual sampling data
13 from the site is truly an upper bound limit
14 for tunnel exposure. It doesn't have anything
15 to do with modeling.

16 MS. BONSIGNORE: Okay.

17 CHAIR ROESSLER: Would there then
18 be questions, though, about the construction
19 of the two different types of tunnels? Have
20 we resolved that?

21 DR. NETON: I don't know that we
22 know the exact construction of the tunnels

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 themselves.

2 CHAIR ROESSLER: I'm just trying
3 to anticipate what might come up to give us
4 further delay.

5 DR. NETON: Yes.

6 DR. MAURO: And I would say that
7 is one of the reasons you really would like
8 some measurements in the tunnels of concern,
9 especially if there is some historical data
10 that is available. And in the end, they are
11 going to have that problem, yes.

12 Let's say there are walls in the
13 tunnel. And, of course, one of the very --
14 for example, my neighbor's house, my house,
15 we're sitting in the same hill. Okay?

16 Now, I have different kinds of
17 fractures and cracks in my basement and a
18 different delta P because of his ventilation
19 system. In other words, that's another
20 variable, you see. So this is not a
21 walk-away.

22 MR. ALLEN: Unless one of those

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 basements had a bunch of uranium ore in it, it
2 is going to be the higher one.

3 DR. MAURO: Oh, I agree. Ore. I
4 agree with that, even though we both have the
5 same geological and radiological
6 characteristics in the soil. That's why
7 people go in and seal their basement. They go
8 in. And they seal it. They put a sub-slab
9 ventilation system in and boom. The radon
10 problem goes away.

11 MR. ALLEN: To keep from getting
12 --

13 DR. MAURO: So yes, walls will be
14 important. And that's why that -- you know,
15 so yes, if we had more information, the weight
16 of the evidence ought to build nicely and say,
17 "Well, maybe those measurements made in the
18 other tunnel could be helpful, but there will
19 be questions. You know, there still will be
20 questions of the nature regarding the
21 structure of the tunnel and the ventilation in
22 the tunnel."

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 So in the end, you know, certainly
2 the thing that might get us to where we might
3 be able to make some judgments, the historical
4 measurements that were made, maybe not the
5 ones that we made now, that might be off the
6 table.

7 But if there are some historical
8 data back there, I, for one, if they show up
9 with radon measurements -- I don't know --
10 some years ago, whenever the previous
11 contractor was in, now we're talking about
12 some really hefty weight that will help us
13 make some judgments.

14 CHAIR ROESSLER: Well, Ted
15 suggested that perhaps we could have some time
16 for -- I see three things on the table that
17 could be done -- that we pursue that and see
18 if we could have a Work Group teleconference
19 before the Board meeting. Is that feasible?
20 Do we have time to do that?

21 MR. KATZ: It's difficult because
22 there are actually very few dates open, even

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 for a teleconference. But I know we have
2 another Work Group that is setting up, two
3 other Work Groups that are planning to have
4 teleconferences.

5 So those days when they are having
6 teleconferences, they won't be whole days. It
7 will be a couple of hours. And there may be
8 four days when this can happen between now and
9 the Board meeting. There's not a lot of free
10 days, but especially if you are considering
11 doing it close to the Board meeting, because
12 otherwise how much time is there to get any
13 more work done or look at any other data?

14 So there are a few dates, a
15 couple, maybe three days in November when we
16 could set up a teleconference, depending on
17 when those other ones are set up. I could
18 probably tell you the days now if --

19 CHAIR ROESSLER: Is there another
20 option --

21 MR. KATZ: If you want to aim for
22 that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 CHAIR ROESSLER: That we could
2 meet when we all get to Santa Fe before the
3 Board meeting? We have had Work Group
4 meetings --

5 MR. KATZ: Well, there is actually
6 -- the day before the Board meeting, there is
7 a tour planned of Los Alamos, but nobody has
8 to go on that tour. And we could certainly
9 have a Work Group meeting there at the hotel,
10 certainly that afternoon, I would say.
11 Actually, I can't say for certain because we
12 would have to find a room. But I think we
13 probably can get a room and get the equipment
14 for the telephone connection to do it the
15 afternoon before the Board meeting, which
16 would be, I think, the 15th of November.

17 CHAIR ROESSLER: But what about
18 the tour? What time is the tour scheduled?

19 MR. KATZ: Well, the tour isn't
20 set in -- it's not set in place yet. There
21 are two elements of it. And DOE hasn't gotten
22 back to me with anything definite about how

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 that will work. The only commitment, that
2 there will be either or both a museum overview
3 and possibly a tour. They haven't committed
4 to the tour even yet.

5 So that is the 15th. The other
6 dates, I believe, are something like November
7 7th or 8th.

8 MEMBER BEACH: There was the 1st,
9 the 2nd, and the 4th, I thought.

10 MR. KATZ: First, 2nd.

11 MEMBER BEACH: And the 5th I --

12 MR. KATZ: First, 2nd, 10th.
13 Well, I could look it up, but I guess we need
14 to --

15 DR. NETON: I guess we need to
16 know how difficult it is going to be to do
17 these analyses and how quickly.

18 MR. KATZ: I mean, all we would be
19 doing in this case is having that as an
20 option, not necessarily that it would come
21 through. I mean, that's the thing. You can
22 have uncertainty about whether there is any

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 more information to bring to the table is
2 going to be uncertain. I mean, we're only
3 talking about less than a month away, right?
4 And then there is the Board meeting.

5 So we can try to set up. We can
6 try to find a date for a possible Work Group
7 meeting before the Board meeting. That is one
8 alternative.

9 Another alternative is to just
10 plan to have this, resolve this during the
11 Board meeting, during your presentation. In
12 other words, it would be whatever supplemental
13 information would be brought to the table at
14 that time. And the other alternative is to
15 take this off of the agenda for the Board
16 meeting.

17 CHAIR ROESSLER: I will see what
18 the rest of the Work Group thinks. I would
19 like to have one more chance to see what DCAS
20 can find out, schedule a teleconference, come
21 to a decision then, and then go to the Board.

22 I don't want to delay it another time. I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 think we're --

2 MR. KATZ: I would really prefer
3 not to, too, but --

4 CHAIR ROESSLER: Yes. I think we
5 just need to go to the Board and say, "Here is
6 where we are."

7 MEMBER BEACH: In addition to what
8 DCAS comes up with, SC&A has to have time to
9 look at that and also get back to us.

10 CHAIR ROESSLER: Well, I'm
11 thinking if we have a teleconference, then as
12 a Work Group, we will be able to come up with
13 what we want to present to the Board.

14 MEMBER BEACH: Sure.

15 MR. KATZ: Why don't we look at
16 calendars to see if we can find a date? I
17 mean, if nothing else, that teleconference can
18 be used to present depending on what the
19 situation is. There may be no new
20 information, but you may be --

21 CHAIR ROESSLER: Then we decide
22 what we're going to --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. KATZ: Organize, at least what
2 you are going to present for the Board meeting
3 --

4 CHAIR ROESSLER: That is our job
5 as a Work Group to say --

6 MR. KATZ: Because you are going
7 to have to do that.

8 CHAIR ROESSLER: What to present
9 to the Board.

10 MEMBER BEACH: Right, right.

11 MR. KATZ: So let me tell you
12 about dates now. So November 1 is a
13 possibility. I mean, I have a conflict on
14 that date, but this is more important than my
15 conflict.

16 CHAIR ROESSLER: I have a
17 conflict, too, but if it comes down to it --

18 MR. KATZ: So November 1 is one
19 option.

20 MEMBER LOCKEY: What day is that?

21 MR. KATZ: That is a Monday.
22 November 2, which is Election Day, is another

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 option right now. Again, that's --

2 MEMBER BEACH: I'm actually
3 traveling for --

4 MR. KATZ: Okay. November 2 is
5 not an option.

6 CHAIR ROESSLER: I'm traveling on
7 November 2 also.

8 MR. KATZ: Well, let's just figure
9 out what the days are. So November 1 you say
10 is an option for you?

11 MEMBER LOCKEY: Not for me.

12 MEMBER BEACH: But the other thing
13 is it might be better to go towards the second
14 week, the end of the second week.

15 MR. KATZ: Yes. I'm just trying
16 to come up with all of the options --

17 MEMBER BEACH: I understand.

18 MR. KATZ: At this point. Okay.
19 So there is also -- Mound was canceled. That
20 was going to be on November 5th. So that
21 right now is open.

22 MEMBER LOCKEY: What day is this?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 CHAIR ROESSLER: Melius is working
2 on a Work Group --

3 MEMBER LOCKEY: That day, Friday
4 --

5 MR. KATZ: I know, but his is a
6 teleconference too. So, he is talking about a
7 couple of hours.

8 CHAIR ROESSLER: Okay.

9 MR. KATZ: No. Maybe three hours
10 most for --

11 CHAIR ROESSLER: November 5th is
12 good for me.

13 MR. KATZ: Does November 5th work
14 for -- how about you, Mike? So is that -- and
15 how about for --

16 CHAIR ROESSLER: We need somebody
17 from --

18 MR. KATZ: Where is Chris and Jim?
19 Does that work for you, November 5th?

20 DR. NETON: That's okay for me.

21 DR. MAURO: November 5th should be
22 okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. KATZ: SC&A, everything's good
2 for SC&A. So November 5th. November 5th, we
3 will at this point set up a teleconference on
4 November --

5 MEMBER BEACH: Can you look at the
6 12th also just to give that extra week?

7 MR. KATZ: Yes, we can look at
8 that.

9 CHAIR ROESSLER: I like that.
10 That would be better. That would give DCAS
11 more time.

12 MR. KATZ: November 12th right now
13 is open. It also could be -- again, they
14 could both happen.

15 MEMBER LOCKEY: November 12th.

16 MR. KATZ: November 12th is fine
17 for everybody here? Okay. Let's do the
18 latest. Antoinette, you can hear this.
19 November 12th is going to be a Work Group
20 teleconference. And, even if there is no more
21 information, there will be some discussion
22 about how to present to the Board --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 CHAIR ROESSLER: Right. That will
2 be the --

3 MR. KATZ: Which will be useful to
4 you, too, Antoinette.

5 CHAIR ROESSLER: Whatever
6 information we have at that point in time.
7 And we are going to identify the things that
8 we think are going to happen.

9 MS. BONSIGNORE: Okay. So can I
10 be confident to tell the workers later today
11 that both petitions will go before the Board
12 in Santa Fe?

13 MR. KATZ: Yes. That's not my
14 choice. That's Gen's choice here.

15 CHAIR ROESSLER: As far as the one
16 that we're working on right here, our intent
17 is for the Work Group to come to a decision as
18 to what we are going to recommend to the Board
19 at the meeting in Santa Fe. And then the
20 Board will make a decision. That is our
21 intent at this point.

22 MR. KATZ: Okay. So that covers

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 it for the petition we are currently
2 discussing. I am not sure that that is
3 necessarily at what point will you decide,
4 Jim, about the other petition or Chris.

5 DR. NETON: I think we are moving
6 forward with the other --

7 MR. KATZ: Are you going to
8 present, no matter what, the other one, 154?

9 MR. CRAWFORD: That is the current
10 plan. Unless the Board tells us not to, we
11 will present 154.

12 MR. KATZ: Okay.

13 DR. NETON: That's the plan. So
14 any discussion about this would be relevant.

15 MR. KATZ: It is going to impact
16 it. Okay, Antoinette?

17 MS. BONSIGNORE: Thanks.

18 MR. KATZ: Then both of them would
19 be presented. The Work Group and DCAS
20 presentation of the new one, newer one.

21 MS. BONSIGNORE: Okay. And am I
22 safe in saying that this idea of actually

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 going out to the Linde site is now off the
2 table?

3 MR. KATZ: Unless they go out to
4 the Linde site before that happens, that seems
5 incredibly unlikely.

6 MR. CRAWFORD: Very unlikely.

7 MS. BONSIGNORE: Okay.

8 MR. KATZ: Okay?

9 MR. CRAWFORD: Take measurements
10 and analyze --

11 MR. KATZ: So that seems
12 incredibly unlikely.

13 CHAIR ROESSLER: So the things
14 that are on the table that I see that DCAS is
15 going to look at between now and then is that
16 you are going to look at the existing core
17 samples and -- so that the soil
18 characteristics near the conveyor tunnel can
19 be evaluated so that they can be compared to
20 the ones near the utility tunnel so that we
21 can have a better handle on the actual
22 measurement that was made, measurements made,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 near the conveyor tunnel.

2 The other thing I have on the list
3 -- I had two other things. One was see if you
4 could do measurements in the existing tunnels.

5 I think that's quite questionable, but let's
6 just leave it there and receive that.

7 And the third thing was to
8 continue the search for the historical data in
9 the utility tunnels. And whatever you have at
10 that point we are going to have to sit and
11 evaluate.

12 And I think the Work Group, at
13 least as one Member of the Work Group, I would
14 say that I will base my decision heavily on
15 those of you who are experts on it and what
16 SC&A concludes from that.

17 MR. KATZ: And given the
18 timeliness, I would just suggest that all of
19 the Work Group Members sort of start thinking
20 about developing your positions as if there
21 will be no new information just to get
22 yourself prepared because it's not leaving

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 yourself a lot of time.

2 We're talking about meeting,
3 teleconference, the Friday before. So I
4 think, for example, a presentation, Gen, if
5 you're going to do a PowerPoint presentation,
6 that only leaves you the weekend. If I were
7 you, I would be preparing something, a
8 placeholder.

9 DR. OSTROW: I think you have all
10 the background in the slides and all of that.

11 CHAIR ROESSLER: Yes. I have some
12 background slides I can use. But the other
13 thing that I think I would like to talk about
14 today, maybe after we break up, is I see, no
15 matter what happens, I think what we are going
16 to do is have a presentation.

17 I will make a presentation. And
18 then I expect that Mike or Josie will want to
19 make a -- whatever we want to call it --
20 another presentation, a minority presentation.

21 MR. KATZ: Yes.

22 CHAIR ROESSLER: I think we need

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to do it that way.

2 MR. KATZ: Yes. I wouldn't even
3 call it a minority if it's a two and two --

4 CHAIR ROESSLER: Yes, because it
5 really isn't minority.

6 MR. KATZ: No.

7 CHAIR ROESSLER: We'll call it two
8 presentations.

9 MEMBER GIBSON: But we've got five
10 Members on the Work Group.

11 CHAIR ROESSLER: No. There are
12 four of us.

13 MR. KATZ: Four.

14 MEMBER GIBSON: Four.

15 MR. KATZ: Bill's not -- Bill just
16 asked to listen in.

17 CHAIR ROESSLER: And he'll weigh
18 in with his input at the Board meeting as a
19 Board Member.

20 MR. KATZ: Right.

21 CHAIR ROESSLER: So there are just
22 four of us.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER GIBSON: I thought maybe
2 Jim had appointed him as a new Member.

3 CHAIR ROESSLER: No, no. I just
4 asked him to listen in because he is the radon
5 expert.

6 MEMBER GIBSON: Okay.

7 CHAIR ROESSLER: I would expect
8 that perhaps Jim and I -- and I'm looking at
9 Jim to see if this is true -- would prepare a
10 report. And in that will be background as to
11 what we have resolved, certainly, and then
12 what we haven't resolved. And then the two of
13 you would follow with a report. Does that
14 sound like a reasonable approach?

15 MEMBER LOCKEY: I am still --

16 MS. BONSIGNORE: Would I be able
17 to get copies of these presentations in
18 advance of the meeting?

19 MR. KATZ: No. I mean, the
20 presentations are never available in advance
21 of the meetings as far as I know, never, but
22 they will be available at the meeting. And

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 they will be put online as well. Are you
2 going to be at the meeting, I assume?

3 MS. BONSIGNORE: I don't think I
4 am going to be able to travel, no.

5 MR. KATZ: We will get them to
6 you. Okay? As soon as we have them, we will.
7 I will make sure that those are sent to you,
8 --

9 MS. BONSIGNORE: Okay.

10 MR. KATZ: For certain.

11 MS. BONSIGNORE: Okay. Also,
12 there was a report that SC&A had put together
13 from the May Board meeting that I never got a
14 copy of.

15 MR. KATZ: A report on the --

16 MEMBER LOCKEY: Yes. There is a
17 May report.

18 CHAIR ROESSLER: While they're
19 looking at that, did you get the report this
20 morning?

21 MR. KATZ: Yes. Well, I sent, I
22 asked someone to send it to Antoinette. So

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 I'm --

2 CHAIR ROESSLER: I'm just
3 wondering if she had gotten it.

4 MR. KATZ: Assuming that it had
5 been sent.

6 MEMBER LOCKEY: Yes. It's a May
7 19th-21st report?

8 MR. KATZ: The interview notes?

9 MS. BONSIGNORE: It's from the
10 interviews and from an evaluation of the
11 documentation that we had provided to SC&A at
12 that time?

13 MEMBER LOCKEY: It's the
14 interview. I have the interview. This is Jim
15 Lockey. I have interview notes from that
16 date. Is that what you are talking about?

17 MS. BONSIGNORE: Yes, yes.

18 MR. KATZ: So, John, there was no
19 PA-cleared version?

20 DR. MAURO: I'm going to have to
21 look at Steve whether that was PA-cleared and
22 distributed. I remember the report.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. OSTROW: Hang on one minute.

2 MEMBER LOCKEY: It has been
3 cleared by DOE --

4 DR. MAURO: Yes. That --

5 MEMBER LOCKEY: Does contain
6 privacy-protected information, not to be
7 provided to any third party.

8 DR. OSTROW: I don't have a copy
9 in front of me of the actual report. I don't
10 think it was PA-cleared, the final thing.

11 MR. KATZ: Okay. Okay. Well,
12 Antoinette, we will work to -- as soon as we
13 get that PA-cleared with whatever redactions
14 it has to have.

15 MS. BONSIGNORE: Okay. Thank you.

16 CHAIR ROESSLER: So I think we are
17 about ready to conclude, but we are planning
18 on a teleconference on November 12th and the
19 time to be determined.

20 MR. KATZ: Time to be determined
21 because we need to work that out with Melius,
22 if he is going to set up a Work Group, too.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 CHAIR ROESSLER: Those of us
2 involved should keep that --

3 MR. KATZ: Keep that day open.

4 CHAIR ROESSLER: That day open.

5 MR. KATZ: For a teleconference.

6 CHAIR ROESSLER: Okay. Is there
7 anything else that we need to do here? Mike,
8 do you have any comments, suggestions, or
9 anybody on the phone have any advice for us?

10 DR. MAURO: I would like to
11 confirm SC&A has no action items except to be
12 prepared to review material as it comes in.

13 CHAIR ROESSLER: And I think we
14 have listed DCAS stuff, actually.

15 MR. KATZ: Right.

16 DR. ANIGSTEIN: Did you want to
17 explain, you know, this was like an initial
18 memo, did you want a more formal report on the
19 model?

20 CHAIR ROESSLER: I don't think
21 that's necessary because I think that we're
22 going in a little different direction.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. NETON: We're moving away from

2 --

3 CHAIR ROESSLER: Yes.

4 DR. NETON: We're not using the
5 model. The model is not being used.

6 CHAIR ROESSLER: Yes. Anything
7 else?

8 (No response.)

9 CHAIR ROESSLER: Then I think
10 we're ready to adjourn.

11 MR. KATZ: Okay. Well, thank you,
12 everyone, on the phone for bearing with us.

13 (Whereupon, the above-entitled
14 matter went off the record at 12:23 p.m.)

15

16

17

18

19

20

21

22

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1

2

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com