

U.S. DEPARTMENT OF HEALTH AND HUMAN SERVICES
CENTERS FOR DISEASE CONTROL
NATIONAL INSTITUTE FOR OCCUPATIONAL
SAFETY AND HEALTH

+ + + + +

ADVISORY BOARD ON RADIATION AND
WORKER HEALTH

+ + + + +

WORK GROUP ON CHAPMAN VALVE

+ + + + +

WEDNESDAY
FEBRUARY 9, 2011

+ + + + +

The Work Group convened via
teleconference at 3:00 p.m., John W. Poston,
Sr., Chairman, presiding.

PRESENT:

JOHN W. POSTON, SR., Chairman
BRADLEY P. CLAWSON, Member
MICHAEL H. GIBSON, Member
GENEVIEVE S. ROESSLER, Member

ALSO PRESENT:

TED KATZ, Designated Federal Official

NANCY ADAMS, NIOSH Contractor

JENNY LIN, HHS

JOHN MAURO, SC&A

JIM NETON, DCAS

MARK ROLFES, DCAS

LAVON RUTHERFORD, DCAS

WILLIAM THURBER, SC&A

1 P R O C E E D I N G S

2 (3:06 p.m.)

3 MR. KATZ: Let's begin with, first
4 of all, this is the Advisory Board on
5 Radiation and Worker Health. This is the
6 Chapman Valve Work Group. And we will begin
7 with roll call, since we're talking a site-
8 specific. Please speak to conflict of
9 interest, as well, and we'll begin with Board
10 Members, with the Chair.

11 CHAIRMAN POSTON: John Poston, no
12 conflict.

13 MEMBER CLAWSON: Brad Clawson,
14 Work Group Member, no conflict.

15 MEMBER ROESSLER: Gen Roessler,
16 Work Group Member, no conflict.

17 MEMBER GIBSON: Mike Gibson, Work
18 Group Member, no conflict.

19 MR. KATZ: Okay, and no Mark
20 Griffon at this time. Okay. How about NIOSH-
21 ORAU Team?

22 DR. NETON: Yes, this is Jim
23 Neton, NIOSH, no conflict.

1 MR. ROLFES: This is Mark Rolfes,
2 NIOSH, no conflict of interest.

3 MR. KATZ: How about SC&A?

4 DR. MAURO: John Mauro, SC&A, no
5 conflict.

6 MR. THURBER: Bill Thurber, SC&A,
7 no conflict.

8 MR. KATZ: Federal, whether HHS or
9 other agencies, federal officials, or
10 contractors for the feds?

11 MS. ADAMS: Nancy Adams, NIOSH
12 contractor. I haven't been able to reach
13 Mark.

14 MR. KATZ: Thank you, Nancy.

15 MS. LIN: This is Jenny with HHS.

16 MR. KATZ: Jenny Lin. And this is
17 Ted Katz. I'm the Designated Federal Official
18 for the Advisory Board, no conflict.

19 Thank you everyone. How about
20 members of the public? Any members of the
21 public? Okay.

22 John, it's your agenda.

23 CHAIRMAN POSTON: Okay. I went

1 through the material that Ted sent out, just
2 to make sure that I saw everything, and,
3 basically, we have a short agenda. As I see
4 it, there's four items, and two of them are
5 ORAU, and I guess NIOSH, Jim.

6 First is the search of boxes done,
7 which were identified to potentially contain
8 more information on Chapman Valve. The second
9 was the results of the manual search of the
10 Nuclear Navy documents. The third would be,
11 basically, a discussion of these results in
12 terms of what -- whether NIOSH can reconstruct
13 the dose or not. And the fourth would simply
14 be to vote on the SEC status. If there are
15 other things, I'd be happy to add them to the
16 agenda, but I thought that was pretty much
17 everything we needed to talk about today.

18 MR. KATZ: Okay. Let me just add
19 to that John.

20 CHAIRMAN POSTON: I'm sorry?

21 MR. KATZ: Let me just add to
22 that. Just a note in addition to what John
23 just said, I distributed to all of you

1 excerpts of the transcript of the Board
2 meeting, the last two Board meetings where
3 Chapman Valve was thoroughly discussed with
4 the new Board Members. So, that would have
5 been in February and in May, so you all have
6 those transcripts, if they're useful to you.
7 And then just to remind you that this item
8 remains tabled at the Board level.

9 Okay, John. Thanks.

10 CHAIRMAN POSTON: Ted, I'm a
11 little confused, because that's what I said.
12 I was reading the transcripts, and that's what
13 I said, and then I was corrected by Dr. Melius
14 who said it's not tabled at the Board level,
15 so do we have -- it seems to me we need to
16 understand what we're doing here.

17 MR. KATZ: Okay. I mean, in
18 either event what Dr. Melius had asked, and I
19 guess -- I think you had all concurred on the
20 Board, was that at this meeting you would
21 follow-up on the final actions of DCAS related
22 to these data searches related to the sample.

23 CHAIRMAN POSTON: I agree.

1 MR. KATZ: And then you would
2 report back to the Board. And what the Board
3 has yet to do is to have a definitive vote in
4 terms of the SEC petition.

5 CHAIRMAN POSTON: Okay. All right.
6 Well, then I guess I will turn it over to Jim
7 Neton.

8 DR. NETON: Jim Neton. I defer to
9 Mark Rolfes on this. I'm out of the office on
10 a cell phone right now, and I don't have the
11 material directly in front of me, so maybe if
12 Mark could summarize what we found with those
13 boxes.

14 CHAIRMAN POSTON: Sure. Sure.

15 DR. NETON: Mark?

16 MR. ROLFES: Yes, sure. Are you
17 able to hear me okay?

18 CHAIRMAN POSTON: Yes.

19 MR. ROLFES: Okay. Good. Yes,
20 I'll just give you a quick run through of what
21 we've done. Back in May of 2010, we visited
22 NARA to review a box that potentially
23 contained Chapman Valve information. Within

1 that box of records, these were all in
2 classified records, however, within that box
3 there were six documents which pertain to
4 Chapman Valve. None of those records shined
5 any light on the single 2.16 percent enriched
6 uranium sample that was collected from
7 Building 23 at the Chapman Valve site.

8 After that, we had also received
9 two pages pertaining to sending bottles for
10 collection of urine samples. It was a
11 communication between New York Operations
12 Office and the Chapman Valve facility in 1948.

13 These two documents came from Atlanta NARA.
14 Once again, there's no new information there
15 shining any new light on the 2.16 percent
16 enriched uranium.

17 Throughout the summer, we had
18 visited NARA also to look for any additional
19 Chapman Valve records as part of this Oak
20 Ridge series six collection, as well in July
21 of 2010 we had identified Chapman Valve
22 correspondence and records at the Hanford
23 site. We reviewed those, and many of them

1 were specifications for valves, none of which
2 would have produced any information relative
3 to the Chapman Valve facility for processing
4 enriched uranium.

5 Let's see. And then the most
6 recent was the December 2010 trip to Oak Ridge
7 to review documents in the RHTG collection,
8 that's the Records Holding Task Group. We had
9 identified several documents which we thought
10 could contain some Chapman Valve information,
11 and we went through those documents, found
12 some documents on enriched uranium. However,
13 none of it was associated with the Chapman
14 Valve site.

15 So, we have certainly looked for
16 information. I was not directly involved;
17 however, we have previously contacted
18 Department of Navy for any information
19 regarding enriched uranium. We had received a
20 listing of documents, none of which produced
21 anything of use to us. And then in this most
22 recent summary that we've done, DCAS has
23 contacted over this past summer in 2010 an

1 individual who is the program manager for the
2 Nuclear Test Personnel Review Program, and had
3 specifically asked about some nuclear
4 propulsion questions, and specific to the
5 U.S.S. Nautilus because of some of the
6 accounts that Chapman Valve and Crane had been
7 involved in constructing components for
8 portions of the U.S.S. Nautilus.

9 The individual that we had
10 contacted had indicated that they had no
11 records of enriched uranium in their
12 possession that they knew of, and that the
13 level of enrichment that was reported for the
14 enriched uranium sample collected from Chapman
15 Valve was much different than the level of
16 enrichment which would be encountered in a
17 typical Navy application.

18 I think that summarizes the data
19 capture, and follow-up activities that we've
20 conducted over the past several months. If
21 you need more about specific information that
22 we did receive, I'd certainly be happy to take
23 you through any of that, if you'd like.

1 CHAIRMAN POSTON: Could I ask you
2 a clarifying question. When you talked about
3 the first search of -- data search, you said
4 nothing to -- relative to 2.1 percent
5 enrichment.

6 MR. ROLFES: Correct.

7 CHAIRMAN POSTON: Did you find
8 anything about the operations at Dean Street,
9 because I remember that in our interviews, the
10 woman who had typed the paperwork for these
11 had said that there was something, some
12 manifolds or something that came in to the
13 Chapman Valve facility, but they never came
14 inside. They were loaded directly onto
15 another rail car, or truck, I guess a truck,
16 and were taken over to the Dean Street
17 facility.

18 MR. ROLFES: We did review the
19 documents keeping that portion of the Chapman
20 Valve facility in mind during the document
21 review; however, no information regarding the
22 Dean Street activities were identified in any
23 of the documents that we reviewed.

1 The records that were collected at
2 the College Park NARA back in May, I've got a
3 summary of what we had looked at. My notes
4 show that the documentation we reviewed in Box
5 2, File Folder 3 labeled "Chapman Valve"
6 located at College Park, Maryland NARA
7 contained no new information relevant to the
8 issue of the single 2.16 percent enriched
9 uranium debris sample collected in Building 23
10 of the Chapman Valve site during the FUSRAP
11 remediation period. There was no indication
12 of other contracts or work involving material
13 other than natural uranium metal which was
14 machined into slugs for Brookhaven reactor.

15 This folder labeled "Chapman"
16 contained six individual pages of
17 correspondence and documentation concerning
18 the reporting of material balances, and the 18
19 shipments of slugs to Brookhaven National
20 Laboratory from Chapman Valve. Although dates
21 of each of the 18 shipments were not given in
22 the text, the shipments of natural uranium
23 slugs ranged from a low of 200 for the first

1 shipment, to approximately 9,000 in six
2 different shipments. The total number of
3 natural uranium slugs shipped from the Chapman
4 Valve facility to Brookhaven National
5 Laboratory was around 80,000, and all
6 shipments had taken place during the year of
7 1948.

8 CHAIRMAN POSTON: Okay.

9 MR. ROLFES: There was some
10 correspondence that also pertained to Chapman
11 Valve no longer needing to produce material
12 accountability reports until the source and
13 fissionable material had been shipped from the
14 Chapman Valve facility.

15 Let's see. There was a memo
16 regarding the shipment of the natural uranium
17 rods from Hanford to Chapman Valve dated late
18 December of 1947. I also looked at some
19 documentation from the ElectroMet facility to
20 determine whether there might have been any
21 information concerning scrapped uranium, or
22 contaminated equipment that was used at the
23 Chapman Valve facility. ElectroMet in our

1 H.K. Ferguson full report was said to have
2 received some materials from the Chapman Valve
3 facility in 1949, after the contract work had
4 been completed. I did not find anything in
5 the ElectroMet records pertaining to Chapman
6 Valve there.

7 CHAIRMAN POSTON: Okay. Brad, I
8 think I cut you off, but you had a question?

9 MEMBER CLAWSON: No, I was just
10 wondering, I know he just mentioned that
11 nothing pertaining to this, and I just wanted
12 to understand what had been pulled from it,
13 which he's done, so that's fine. Thank you.

14 MR. ROLFES: Okay.

15 CHAIRMAN POSTON: Any questions
16 for Mark? Mark, I think you -- just to be
17 clear, I think you covered both items in your
18 short remarks.

19 MR. ROLFES: Okay.

20 CHAIRMAN POSTON: Did you?

21 MR. ROLFES: Well, you'll have to
22 remind me what those --

23 CHAIRMAN POSTON: Well, the two

1 are data capture from those boxes, and then
2 the manual search of the Navy documents.

3 MR. ROLFES: Yes. Let's see.
4 There is some additional information. Since I
5 wasn't involved firsthand on the contact with
6 the individual from the Navy, let me take a
7 look at the summary here, and make sure that I
8 have reported everything that I can on that
9 subject.

10 Let's see. We did ask -- I'll
11 just go ahead and read this. DCAS further
12 asked the individual who was the EEOICPA point
13 of contact at the Navy if there might be any
14 Navy record holding somewhere which describes
15 the work that was done with thermal diffusion,
16 because this is one of the other things that
17 we thought maybe the Naval work involving
18 thermal diffusion might have been somehow
19 linked to the Chapman Valve facility.

20 Let's see. The individual thought
21 that the thermal diffusion process might have
22 produced levels of enrichment reported for the
23 Chapman or Crane sample. The individual

1 replied that he had not seen any records of
2 that sort, and said such records would have
3 gone to the MED or AEC, not to Navy Holding.
4 And this is one of the things that we've also
5 kept in mind, to look for any information
6 regarding potential involvement of Chapman
7 Valve with like Phil Abelson and the thermal
8 diffusion plant, S-50, or the Philadelphia
9 Naval Research Lab, I believe, was also
10 involved in that. And we found no information
11 that shows that Chapman Valve was involved in
12 that project. So, I think I've covered what
13 you've asked.

14 CHAIRMAN POSTON: Okay. Any
15 questions for Mark, Working Group Members?

16 MEMBER ROESSLER: John, this is
17 Gen. I just unmuted, so I don't know if I
18 missed something, but what I'm hearing is a
19 lot of negative information. And I'm
20 wondering if that type of information somebody
21 maybe needs to interpret this a bit for me,
22 supports our concern for this particular
23 sample, or supports the fact that we should

1 not be concerned about it?

2 CHAIRMAN POSTON: Well, I guess
3 that's for discussion.

4 MEMBER ROESSLER: Okay. Well,
5 then I guess I opened it.

6 CHAIRMAN POSTON: Yes. Well, the
7 -- I guess the next -- my next step was to
8 sort of have a discussion as to what do we
9 think this might mean in terms of going
10 forward with the either supporting or
11 rejecting the NIOSH recommendation. Their
12 recommendation was that they could -- they
13 felt like they could not reconstruct, but
14 bound, as I recall, is the word they used, to
15 bound the doses that these workers got. So,
16 the question is, how do we use this negative
17 data to make a decision on how we should
18 proceed? Any opinions from the Working Group?

19 Brad, I know that you were
20 concerned about this, so maybe you have an
21 opinion.

22 MEMBER CLAWSON: Well, of course I
23 always have an opinion, doesn't mean that it's

1 a right one, or anything else like that.

2 My whole issue is, and John, we've
3 discussed this numerous times, is we,
4 basically, have two samples. One was slightly
5 enriched, one wasn't. The thing that bothers
6 me more than anything is that I want to make
7 sure that we have exhausted our efforts,
8 because as we have found at numerous sites, we
9 thought we had a handle on what went on there,
10 and it only pertained to this. And then after
11 uncovering certain things, we've opened up
12 whole new areas that we didn't even know
13 existed. I'm thinking of areas that we've
14 even opened up up to Hanford that was a small
15 thing, and we didn't think that it was all
16 that much, but now all of sudden it is quite a
17 big issue.

18 My main thing was that we -- you
19 know, what are we going to do with the sample?
20 It bothers me that we've got one enriched.
21 And, yes, there was only two samples taken,
22 one shows the natural, and I understand that.
23 I just want to make sure that we have done

1 everything we can to exhaust our research to
2 be able to understand what went on in these
3 facilities. That's even why we've separated
4 out the Dean Street facility, is because we
5 have not been able to understand what went on
6 there.

7 And that's my whole issue. We're
8 trying to redo something from back in the
9 '40s, and the information is not readily
10 available out there. But we've got people
11 that have been telling us of things going on,
12 and I just want to make sure that we've done
13 due diligence with this.

14 CHAIRMAN POSTON: Understand.

15 MEMBER ROESSLER: John, this is
16 Gen. Again, and I looked at the transcript
17 from another one of our meetings. I objected
18 to the use of the words "one sample was
19 slightly enriched." I think the analysis of
20 it indicated that it might be slightly
21 enriched, but I don't think there's conclusive
22 evidence that it was. And that's why we're
23 going through all this evaluation, could it be

1 possible that it was. And, so far, I've seen
2 just negative information, nothing to indicate
3 that there would have been something going on
4 there that would have -- that we could support
5 the fact that it was enriched.

6 CHAIRMAN POSTON: Well, I'll have
7 to call on Jim, because my recollection was he
8 talked with the folks at Oak Ridge, and I
9 think several of us had the same thoughts,
10 Gen. But I think Jim came away convinced that
11 the results were valid. Is that correct, Jim?

12 DR. NETON: Well, we talked to the
13 -- we hired a person who worked on -- was the
14 lead on those projects, that they found the
15 enriched sample, and they could not find any
16 records. But to the best of their
17 recollection the sample would have been
18 processed at that time period either through
19 alpha spec or mass spectroscopy, spectrometry,
20 which they felt would have been able to
21 discern a 2 percent enrichment. But, again, we
22 found no paperwork, no analytical information.

23 I will add that we did find nine

1 additional samples that were taken during the
2 closure of the plant during the FUSRAP
3 cleanup, and those nine samples that were
4 taken and were analyzed isotopically for alpha
5 were all consistent with natural uranium. So,
6 there's only this one sample out there that
7 looks anomalous to us.

8 CHAIRMAN POSTON: Yes. So, I
9 guess I'm trying to understand, do we feel
10 comfortable saying it's an outlier, or do we -
11 - I'm just not sure what to do with --

12 DR. NETON: Dr. Poston, this is
13 Jim Neton. Even if it were a real sample,
14 which it may well be, we have nothing in the
15 information from the processing of the slugs
16 that indicates that the activities that we've
17 reconstructed had anything but natural
18 uranium. So that enriched uranium sample, if
19 it were real, could have been there any time
20 after that AEC project was over up until the
21 point at which it was discovered, in what, the
22 1970s. So, we believe that we have addressed
23 the petitioner's request that during this time

1 period when the slugs were being processed,
2 can we reconstruct doses, and we believe the
3 answer is yes. Notwithstanding the presence
4 or existence of this sample, which no one
5 knows what time period, even if it were real,
6 was deposited there.

7 CHAIRMAN POSTON: Okay.

8 MEMBER GIBSON: John, this is
9 Mike.

10 CHAIRMAN POSTON: Go ahead.

11 MEMBER GIBSON: You know, I guess
12 my concern is, I don't doubt that DCAS can
13 reconstruct doses based on the information
14 they have from that one sample, but I still
15 have the concern that no one has been able to
16 give any information as to why that sample is
17 there. And that still leaves some doubt in my
18 mind as to what may have went on at the
19 facility. And, therefore, there could,
20 potentially, be other actions that took place
21 where folks might have got an exposure that
22 won't be addressed in dose reconstructions
23 that are done.

1 CHAIRMAN POSTON: Would you think
2 that that would be -- I can see that there
3 might have been something outside of the
4 covered period, but we haven't found any
5 evidence that anything was going on during the
6 covered period. Is that correct?

7 MR. ROLFES: This is Mark --

8 MEMBER GIBSON: Well, we really
9 haven't found any evidence. I mean, if you
10 can't -- if there's no information on why that
11 sample, or why that material may have been
12 there, then I don't think there's really any
13 evidence as to when it may have gone on,
14 regardless of when it was found.

15 CHAIRMAN POSTON: I guess we're in
16 a conundrum here where we're trying to prove a
17 negative.

18 MR. RUTHERFORD: Dr. Poston, this
19 is LaVon Rutherford. I didn't chime in
20 earlier, because I missed the roll call, but I
21 want to point out that right now the only
22 covered activity we have identified is the
23 work that we've already discussed, and we can

1 do dose reconstruction. If a new activity, or
2 an activity is determined, ultimately, DOL
3 will have to weigh in on whether it's covered
4 or not.

5 CHAIRMAN POSTON: Okay. Thank
6 you.

7 DR. MAURO: This is John Mauro.
8 One other factor that plays in onto your
9 judgment is, there was a report, a fairly
10 detailed report called the Ferguson report.

11 CHAIRMAN POSTON: Yes, I remember.

12 DR. MAURO: Yes, that gave very
13 detailed descriptions of the activities at the
14 place during the grinding and milling of the
15 uranium, the natural uranium that was handled
16 at that time. And when you look at that
17 report, of course, you evaluate how you would
18 go about dealing with dose reconstruction.
19 There was nothing in there that would indicate
20 anything other than this natural uranium was
21 handled at that time, and the manner in which
22 it was handled. That doesn't say that maybe
23 the report was written just focused in on that

1 particular activity, but it was extremely
2 detailed description of that time period, and
3 the activities that took place. That's
4 another piece of the puzzle that might help.

5 CHAIRMAN POSTON: Yes. And I
6 remember that, and to be personal about it for
7 a moment, it gave me a fair amount of
8 confidence that we knew what went on. But that
9 is a very detailed report, and we were lucky
10 to find it.

11 Well, where do we go from here,
12 folks? We seem to not be able to come down on
13 one side of the issue, or the other. And we
14 really can't bring anything to the Board
15 unless we have some sort of motion, I would
16 think. I don't know. Ted, is it possible for
17 us to go to the Board and say that, like we're
18 a jury, we're deadlocked?

19 MR. KATZ: I mean, you certainly
20 can report to Board whatever the outcome is,
21 so I guess it wouldn't be a bad idea to just
22 ask for a clear point of view from each of
23 your Board Members. But, in the end, and I'm

1 not sure that it makes an enormous difference
2 one way or the other, because you'll report
3 out at this next Board meeting whatever those
4 results are, and the new -- I mean, the Board
5 wanted to hear about, in particular, about
6 these final efforts of DCAS to obtain
7 additional information, and you have that
8 information to report to the Board. I think
9 that's the most important.

10 CHAIRMAN POSTON: Okay.

11 MS. LIN: Dr. Poston, this is
12 Jenny with HHS.

13 CHAIRMAN POSTON: Yes, ma'am.

14 MS. LIN: I want to clarify our
15 earlier concern, that there is no motion on
16 the table for the Advisory Board to consider.
17 At the Niagra Falls meeting, there was a
18 motion to accept NIOSH's recommendations,
19 which is to deny adding an SEC Class, and that
20 resulted in a tie vote, so the motion failed.

21 And now there's no motions for the Board to
22 consider, so at the next meeting, or whichever
23 Advisory Board meeting, a new motion would

1 have to be put forward.

2 CHAIRMAN POSTON: Okay. So, I
3 could at least report out to the Board that we
4 had this meeting, and what the situation is.
5 Is that correct?

6 MR. KATZ: Exactly.

7 CHAIRMAN POSTON: Yes, okay. Why
8 don't we try to at least understand each
9 other's positions, and maybe, Gen, would you
10 like to go first, ladies first on this, and
11 tell us what you think. And if we can --

12 MEMBER ROESSLER: It's always nice
13 to be first.

14 (Laughter.)

15 MEMBER ROESSLER: Well, I haven't
16 changed my mind. The information that was
17 given to us today really makes me feel
18 stronger that that sample is not an issue in
19 this determination. And everything else that
20 we've discussed with regard to constructing
21 the dose that I feel that can be done in the
22 bounding and claimant-friendly way. And I
23 think there's so many things that I think

1 perhaps, John, as Chair, you should summarize
2 when you go back to the Board, the strong
3 points, this very detailed Ferguson report,
4 the uranalysis, everything that gives strength
5 to our supporting the fact that dose
6 reconstruction can be done.

7 CHAIRMAN POSTON: Brad.

8 MEMBER CLAWSON: Well, you know,
9 I've already said my piece earlier. You know,
10 the whole thing is, and I understand. You
11 know, the question, you know, NIOSH can
12 reconstruct dose bounding. I just want to make
13 sure that we've uncovered everything that we
14 could, because we have -- this is a different
15 site. This is metal manufacturing -- but I
16 know that in the earlier years we used a lot
17 of these contractors to do a lot of different
18 things, and I just wanted to be able to -- if
19 discussed by the petitioners and so forth like
20 that, that we've done due diligence to be able
21 to exhaust resources, to be able to see what
22 we needed to be able to see, and prove that
23 there were no other operations. I feel that

1 we've gone to a pretty lengthy -- I think
2 we've gone quite a ways with this, so I just
3 want to make sure that we've done the best
4 that we can, and that we can go from there.
5 That's my most -- my biggest concern.

6 CHAIRMAN POSTON: Well, then I'm
7 going to ask you a personal question. Does
8 that mean that you would support NIOSH's
9 position?

10 MEMBER CLAWSON: Well, I've always
11 had a problem with a little bit of this, but I
12 have a heartache with -- in my interpretation
13 of what an SEC is and that is when we don't
14 have the data and so forth. And I think that
15 we, as NIOSH -- they bounded it, but that's
16 because there wasn't any information there.
17 And that's my heartache. I think that they've
18 done a good job and stuff like that, but that,
19 to me, is just a personal opinion with me.

20 CHAIRMAN POSTON: Do you think we
21 haven't done due diligence? I mean, I don't
22 know what due diligence is any more past what
23 we've done.

1 MEMBER CLAWSON: Well, to look at
2 the information and so forth, yes. I feel
3 that we've exhausted about everything. Matter
4 of fact, I even helped with the Hanford boxes
5 of pulling Chapman Valve's information out of
6 those, and I don't think there's any more that
7 we can -- unless we had some kind of paperwork
8 or something else, I don't think there's much
9 more than we can really do.

10 CHAIRMAN POSTON: Okay. How about
11 you, Mike?

12 MEMBER GIBSON: Well, you know, I
13 think I voiced my concerns earlier, and I
14 still stand by those. And I will say, just
15 like Brad, I don't blame DCAS for their lack
16 of effort. I think they've done a good
17 search, but there, again, I mean, part of the
18 problem for this program is sloppy records,
19 and sometimes records that were destroyed or
20 absent. And I'm not suggesting that in this
21 case, or absence of records. So, has DCAS
22 tried? Yes. But I don't believe that that
23 means that something may not have went on

1 there. And I'm just looking at it from the
2 side of the whole process through the years at
3 many sites. There was just sloppy processes,
4 sloppy records, and in some cases contractors
5 that didn't document things. So, I just don't
6 know that it's -- I'm just not completely
7 satisfied no.

8 CHAIRMAN POSTON: Okay. Well, I
9 have to -- I'm not trying to be a snob here,
10 but I've been at this a long time, and I have
11 to look at it as a scientist. And in almost
12 everything people do, chemists, physicists, it
13 makes no difference, bounding techniques are
14 something that's used widely to understand, or
15 try to understand particular situations. And
16 the way that NIOSH is -- I mean, let me remind
17 you that the external dose is not a question,
18 because we have the film badges, so it's never
19 been a question. The two questions have been
20 can they bound the internal dose, and what
21 about this one sample? So, I have to look at
22 it sort of as a scientist and say I believe
23 that the approach that NIOSH is using sets an

1 upper bound, a very high upper bound,
2 actually, for the potential exposures of the
3 workers, the internal exposure. And the
4 position that I believe is appropriate to take
5 is, if the Probability of Causation under
6 those conditions is less than 50 percent,
7 there's, essentially, no piece of record, or
8 anything that we might turn up that's going to
9 put it above 50 percent. I believe that NIOSH
10 has done due diligence. I believe we've done
11 due diligence in terms of trying to wrestle
12 with this problem. I don't know what else to
13 say.

14 MEMBER GIBSON: John, this is
15 Mike. Could I respond to that?

16 CHAIRMAN POSTON: Sure. Of
17 course.

18 MEMBER GIBSON: And I think that
19 was the wisdom, when they put this
20 compensation program together, is the
21 legislation called for the Board to be made up
22 of scientists, health physicists, and workers.
23 So, I'd like to give my perspective as a

1 worker.

2 I understand your opinion is based
3 on your science background, and I believe it's
4 valid, or a lot of studies, maybe morbidity
5 studies, and mortality studies, things like
6 that, but this is a compensation program. And
7 I look at it as a worker that's been at a
8 site, and there were incidents that went on
9 these sites that were not documented. And
10 that leaves workers out there that may have
11 been exposed, may have harmful health effects,
12 and just because there is no bioassay data,
13 just because perhaps the incident was not
14 recorded in history, doesn't mean that there's
15 not people out there that are still suffering
16 with cancers and things. And I just, for the
17 type of Board we are, and the type of program,
18 I just -- I don't think we can just completely
19 rest on scientific data.

20 I think that's why the Board was
21 set up like this, so that people from various
22 backgrounds can state their -- can have their
23 beliefs of what went on. And we can't just

1 always fall back on science, in my opinion.

2 MEMBER ROESSLER: John, I'd like
3 to make a comment.

4 CHAIRMAN POSTON: Go right ahead.

5 MEMBER ROESSLER: This is Gen. I
6 guess this happens a lot during our
7 discussions, but -- and this is really in
8 response to Mike. I understand what you're
9 saying, but the way I feel about this is, the
10 legislation was set the way it was. The
11 legislation set it up so that science could be
12 used, and I think that's what those of us who
13 are scientists are doing. And I would hope
14 that everybody on the Board would look at it
15 in the same way.

16 And I also think that, it really
17 disturbs me when you talk in a very general
18 way about a lot of sites, and there were
19 sloppy records. And I think that's true in
20 some cases, but in this particular case, we
21 need to talk about Chapman Valve, what
22 happened there, and what records are
23 available. And, actually, I'm impressed with

1 the amount of data that was available, that is
2 available for doing dose reconstruction. I'm
3 impressed with -- that one report said that
4 the -- to me, it says there was good
5 management, there was good records for the
6 time. So, I think we need to concentrate on
7 the particular site that we're evaluating
8 here, and not use generalities about what
9 might have happened at other sites and apply
10 them here.

11 CHAIRMAN POSTON: Well, Mike, I
12 respect your opinion. I wasn't, in any way,
13 trying to put you down, or so forth. I was
14 simply trying to state my piece in the record,
15 or my opinion in the record, as you did. And
16 I just want you to understand that that wasn't
17 a personal attack of any sort. It's just
18 stating my opinion, as I saw the facts of this
19 case.

20 MEMBER GIBSON: John, this is
21 Mike.

22 CHAIRMAN POSTON: What's the --
23 what are the wishes of the Working Group?

1 Shall we report back to this discussion, and
2 tell them that we're sort of deadlocked? I
3 don't see any way to resolve this. I think
4 Gen, I am speaking for her, Gen, you can
5 correct me. I think Gen and I believe that
6 doses can be reconstructed. And, therefore,
7 the SEC should be denied. I think Brad and
8 Mike think that because of some factors that
9 are perhaps unknown, that we should grant an
10 SEC. So, is that a fair summary of the
11 situation?

12 MEMBER CLAWSON: This is Brad.
13 Yes, that would be a fair summary of it.

14 MEMBER ROESSLER: This is Gen.
15 Yes, I believe doses can be reconstructed, and
16 following the legislation.

17 MEMBER GIBSON: This is Mike. I
18 think you've summed it up fairly, John. And I
19 just want to add for the record, I wasn't
20 taking it as you were attacking my opinion, or
21 anything else. I merely wanted to get my
22 opinion on the record, just as you did. So, I
23 didn't take any offense at all.

1 CHAIRMAN POSTON: Thank you for
2 that. Okay. Is there any other business that
3 we need to discuss? My marching orders are to
4 try to summarize this discussion. As Gen
5 indicated, I should summarize the work that
6 NIOSH has been doing in the data capture
7 attempts since the last time this was
8 discussed, and then indicate to the Board
9 that, basically, we haven't been able to
10 arrive at a conclusion that we can bring to
11 them. Is that it?

12 MR. KATZ: Yes. John, and I think
13 we can summarize the different point of views
14 specifically. I think that will be helpful to
15 the rest of the Board.

16 CHAIRMAN POSTON: Okay. I can -- I
17 think I can do that. Anything else that we
18 need to discuss before we adjourn? Well
19 hearing nothing, then I thank everybody for
20 their participation, and look forward to
21 seeing you in Augusta pretty soon.

22 MEMBER CLAWSON: Enjoy the
23 sunshine. I hope you get home safe, Gen.

1 MEMBER ROESSLER: Thank you, Brad.

2 MEMBER CLAWSON: We'll see you
3 later.

4 CHAIRMAN POSTON: Thank you.

5 (Whereupon, the above-entitled
6 matter went off the record at 3:48: p.m.)

7

8

9