

U.S. DEPARTMENT OF HEALTH AND HUMAN SERVICES
CENTERS FOR DISEASE CONTROL
NATIONAL INSTITUTE FOR OCCUPATIONAL
SAFETY AND HEALTH

+ + + + +

ADVISORY BOARD ON RADIATION AND
WORKER HEALTH

+ + + + +

WORK GROUP ON PANTEX PLANT

+ + + + +

TUESDAY
MAY 3, 2011

+ + + + +

The Work Group convened in the Frankfurt Room of the Cincinnati Airport Marriott, 2395 Progress Drive, Hebron, Kentucky, at 9:00 a.m., Bradley P. Clawson, Chairman, presiding.

PRESENT:

BRADLEY P. CLAWSON, Chairman
JOSIE BEACH, Member
ROBERT W. PRESLEY, Member
PHILLIP SCHOFIELD, Member

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

ALSO PRESENT:

TED KATZ, Designated Federal Official
ROBERT BISTLINE, SC&A*
RON BUCHANAN, SC&A*
MEL CHEW, ORAU Team*
JOE FITZGERALD, SC&A
STU HINNEFELD, DCAS
JENNY LIN, HHS
SARAH RAY*
BRYCE RICH, ORAU Team*
KATHY ROBERTSON-DEMERS, SC&A*
MARK ROLFES, DCAS

*Participating via telephone

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 P-R-O-C-E-E-D-I-N-G-S

2 (9:00 a.m.)

3 MR. KATZ: Good morning,
4 everybody. This is the Advisory Board on
5 Radiation and Worker Health, Pantex Work
6 Group, and we're just getting started. We'll
7 begin with roll call. If you're talking about
8 a specific site, please speak to conflict of
9 interest, and we'll begin with Board Members
10 in the room.

11 CHAIRMAN CLAWSON: I'm Brad
12 Clawson, Work Group Chair. No conflict on
13 Pantex.

14 MEMBER BEACH: Josie Beach, Work
15 Group Member, no conflicts with Pantex.

16 MEMBER SCHOFIELD: Phil Schofield,
17 Work Group Member, no conflict, Pantex.

18 MEMBER PRESLEY: Robert Presley,
19 Work Group Member, no conflict with Pantex.

20 MR. KATZ: And do we have any
21 Board Members on the line?

22 (No response.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. KATZ: Okay. NIOSH ORAU team
2 in the room.

3 MR. HINNEFELD: This is Stu
4 Hinnefeld with NIOSH. I don't have a conflict
5 with Pantex.

6 MR. ROLFES: Mark Rolfes, NIOSH
7 health physicist, no conflicts of interest.

8 MR. KATZ: NIOSH ORAU team on the
9 line?

10 DR. CHEW: Mel Chew, no conflict
11 with Pantex.

12 MR. KATZ: Welcome, Mel.

13 MR. RICH: Bryce Rich, ORAU team,
14 no conflict.

15 MR. KATZ: Welcome, Bryce. Okay.
16 SC&A team in the room?

17 MR. FITZGERALD: Joe Fitzgerald,
18 no conflict.

19 MR. KATZ: SC&A team on the line?

20 DR. BISTLINE: Bob Bistline, no
21 conflict with Pantex.

22 MR. KATZ: Welcome, Bob.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 DR. BISTLINE: Thank you.

2 MR. FITZGERALD: I think Kathy
3 will join --

4 MR. KATZ: Join us in a little
5 bit? Okay.

6 MR. FITZGERALD: Shortly, yes.

7 MR. KATZ: Federal officials or
8 contractors to the feds in the room?

9 MS. LIN: Jenny Lin, HHS.

10 MR. KATZ: And this is Ted Katz.
11 I'm the Designated Federal Official for the
12 Advisory Board. And on the line? Any federal
13 officials, contractors to the feds?

14 (No response.)

15 MR. KATZ: Okay. We have no
16 members of the public in the room. Do we have
17 any members of the public who want to identify
18 themselves on the line?

19 (No response.)

20 MR. KATZ: Okay. All's quiet
21 right now. Then we're all set to go. I think
22 everyone on the line knows the rules about

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 muting your phone, so nothing more to be said
2 there. Brad, it's your agenda.

3 MS. ROBERTSON-DeMERS: Ted? This
4 is Kathy DeMers, and I'm not conflicted.

5 MR. KATZ: Okay, thank you, Kathy.
6 Welcome.

7 CHAIRMAN CLAWSON: Well, the
8 agenda, I guess we're going to start off with
9 the overview of the issues for the internal
10 dose, and, is this in your hands, Joe, or
11 Mark's?

12 MR. FITZGERALD: Well I, you know,
13 I would leave it up to Mark and Bryce, if they
14 want to capsule their piece. I mean, first of
15 all, I thought it was a very thoughtful piece.

16 It laid out things in a very deliberate way,
17 and I don't know if you want to outline this
18 point or just, you know.

19 I went ahead and wrote down
20 something sort of akin to what you've done,
21 because I think we're at the stage where
22 there's some both philosophical as well as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 assessment policy issues or call it what you
2 may call it, for Pantex, and we can do that if
3 you want. I mean it's up to you, because I
4 think your March 10th paper was the last piece
5 on Pantex.

6 So it's up to you, if you want to
7 outline that first.

8 MR. ROLFES: That's correct. Yes,
9 our latest response, as you indicated, was
10 from March 10th, 2011, and basically, at our
11 last Work Group meeting, you had identified,
12 Joe Fitzgerald had identified, I guess, five
13 or six key SEC issues that we tried to focus
14 in on and respond to.

15 So this March 10th of 2011 response
16 tries to address -- we've given, I guess,
17 probably five introductory pages, and then
18 tried to go into each specific question we
19 have received and address each question.
20 However, a lot of it ties together in the
21 introductory portion.

22 We basically just went through an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 introduction of the Pantex facilities
2 operations, discussed you know, the time
3 period that Pantex operations began. The
4 early time period at Pantex, work was
5 primarily involved in the casting, melting and
6 machining of high explosives, which were then
7 sent off-site to the Sandia National
8 Laboratory for assembly.

9 Pantex wasn't really handling
10 radioactive materials in those earlier days of
11 operations, and that also corresponds with the
12 number of people who were monitored for
13 exposure to radiation as well. Then with the
14 receipt of plutonium in late 1957-1958 time
15 period, they constructed Gravel Gerties and
16 also you can take a look at the number of
17 individuals monitored at the site, and you see
18 a drastic increase in the number of
19 individuals who are being monitored for
20 external dose, because the exposure potential
21 increased during that time period.

22 You know, Pantex is a slightly

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 unique facility. It's a little bit different
2 than all the other facilities that we have
3 been talking about in the past. Pantex really
4 didn't produce a radioactive material. They
5 didn't have a foundry that produced uranium
6 metal, for example.

7 They typically handled finished
8 parts, and would assemble those parts into a
9 final nuclear weapon that was sent to the
10 military to be stockpiled. You know, during
11 that time period as well, they would get some
12 of those weapons back and do quality assurance
13 testing and inspections of those weapons each
14 year, to make sure that, you know, various
15 parts functioned as appropriate, when needed,
16 et cetera.

17 They would also take a look for
18 surveillance concerns. They wanted to make
19 sure that that weapon wasn't deteriorating, so
20 that it would in fact, if needed, would be
21 usable at the appropriate time.

22 I think I've given a brief

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 overview of Pantex operations from the
2 beginning, and if you'd like to discuss
3 specific, you know, specific concerns or
4 approaches that we use for dose
5 reconstruction, I'd be happy to go through
6 those.

7 MR. FITZGERALD: Okay. You know,
8 we're sort of in the tail end of the review,
9 and what we're trying to do at this point is
10 complete, I would say, document review in
11 Germantown, and that was helpful. I guess the
12 Work Group is scheduled in June.

13 We're trying to schedule one last
14 trip to Pantex, which you know, obviously you
15 all are invited from NIOSH, to frankly address
16 a few loose ends that we have identified in
17 the late stages of this assessment, and that
18 we're trying to get that to happen.
19 Hopefully, the next couple of months, we can
20 get down there for one last review.

21 We're in the process of drafting a
22 written set of findings or conclusions for the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Work Group, now that we have access to all the
2 classified information, as well as maybe some
3 other additional information. So that's all
4 coming to full.

5 What I'm going to do is I put some
6 points down. These are points that, I think,
7 will find their way into a preamble. I think
8 you've used preambles in your assessment. I
9 think it is helpful. So there's overarching
10 comments. I want to start with the same kind
11 of overview that you have, you and Bryce put
12 down.

13 I think there is a philosophical
14 difference. I mean let's just, you know, I
15 think that's agreed to in your paper. I think
16 we tend to agree with that. There is a
17 definite philosophical difference.

18 So I want to lay that out for the
19 Work Group, because we've had a number of
20 exchanges. But sometimes, I think, you know,
21 it may get lost in all the give and take. I
22 want to spend some time on it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Now I wrote it down, primarily
2 because after going through your paper, I
3 realize this is pretty nuanced. Even the
4 nomenclature has different meanings, and I
5 just want to make sure that -- we have this
6 opportunity today. I just want to make sure
7 that we have given you as thoughtful a
8 rendition of where we're coming from as you
9 have given us.

10 I think with that preamble, we're
11 going to kick the tires for specific technical
12 issues. But quite frankly, I guess I'll be
13 surprised if we identify, after four or five
14 years, you know, actual monitoring data or
15 technical data that's a game-changer.

16 I mean I think that would be
17 surprising, although there are some issues
18 that we need to close out. So this may very
19 well come down to some of these more policy-
20 oriented disagreements that the Work Group and
21 then the full board will have to wrestle with,
22 and make some judgments.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Okay. So bear with me, indulge me
2 on this, because again, I jotted down some
3 things, and I wanted to do some reading, which
4 I hate to do, but I think just to make sure
5 this as clear as possible. In the
6 introduction, your response, I think, was
7 pretty much correct.

8 However, I think we would disagree
9 with parts of it. This is the -- this is what
10 you and Bryce kind of described as the primary
11 point of disagreement in your introduction. I
12 think yes, we would recognize the lack of
13 routine bioassay, or very much real data of
14 any kind.

15 I think we agree that there is no
16 routine bioassay data, and very little usable
17 or representative field data. I mean there is
18 field data, but I think it's very arguable
19 whether it's either representative or usable
20 for our purposes.

21 I don't think we'd be debating, as
22 long as we have had, if there was good field

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 data. I'm talking air sampling or what-not to
2 back up what's missing in the way of bioassay
3 data.

4 But that's not particularly
5 helpful so therefore, you know, what we have
6 is what we have. It's the latter day bioassay
7 data is what we have.

8 We agree that Pantex is much
9 different in the production and fabrication
10 facilities that make up the rest of the
11 weapons complex. Very familiar with the
12 weapons complex, having lived with it for 20
13 years. I agree fully that Pantex is a
14 different bird, okay.

15 When I had the health physics
16 program with the Department, we didn't spend
17 our time worrying about Pantex, okay. I'll be
18 quite frank with you. We were worrying about
19 Rocky Flats, Fernald and some of the labs,
20 okay, and for the primary reasons you've
21 mentioned, assembly-disassembly. It's not a
22 whole lot of material roaming around for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 exposure. So we were pretty aware of that.

2 Now when we say routine bioassay,
3 I think the challenge there, excuse me, is
4 that yes. I mean you're running an assembly-
5 disassembly with sealed components, you know.
6 I think you make a good point that yes,
7 today's HPs would likewise probably design it
8 with routine bioassay either.

9 However, it depends on how you
10 describe routine. In this case, because you
11 have an operation that involves, I'm going to
12 use the word campaigns. Maybe that's not the
13 right word, but you're cycling weapons systems
14 through for assembly, and you're cycling them
15 back at the end of their operational lives for
16 disassembly.

17 So there's these sort of drawn out
18 campaigns, and it may not be months. It may
19 be years, because things in the stockpile take
20 that long to get out, and then they take that
21 long to come back out.

22 So if you have a particular system

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 that presents an exposure potential of some
2 kind, and I think we've been dwelling on
3 depleted uranium, yes, there's no routine
4 bioassay program. But no, we do have
5 something approaching a chronic exposure
6 potential to that particular disassembly
7 process involving that particular system,
8 okay.

9 I don't think there's any debate
10 really in my mind that assembly was pretty
11 clean. I don't think that's an issue. I
12 think we're really more focused on
13 disassembly. I want to make sure that's
14 clear, because you know, sometimes we throw
15 assembly-disassembly around.

16 I don't think there's any question
17 that the components that were assembled, and
18 there's a little asterisk there, and you know
19 the exceptions I'm talking about, were
20 relatively clean, and were really more focused
21 on the disassembly side.

22 So I guess from that standpoint,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 there's some very real exposure potentials
2 that deserve to be addressed in the same
3 manner as they have been addressed in previous
4 SEC evaluations. We've been through
5 evaluations and have gone through the same
6 intellectual regime of, you know, if there's
7 an exposure potential, how does one go about
8 addressing that exposure potential.

9 It's through the examination and
10 evaluation of the data, the records and the
11 facts, and I have had some pause, I have to
12 admit, on this SEC, about the reliance on --
13 and I'm using your words in your piece, you
14 know, descriptive memos, the presumed
15 comprehensive radiation protection program,
16 and the implementation of strict requirements
17 about the nuclear weapons production program.

18 I lived with the production and
19 fabrication and processing program for a long
20 time at DOE, okay. It does have an obvious
21 rigor, because of its mission. But, having
22 lived with the radiological issues from 1980

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 to 2001, I'll be the first to tell you that it
2 wasn't pristine, there were issues and
3 programmatic deficiencies.

4 It took a heck of a lot of effort
5 by everybody in the field and the labs and in
6 headquarters to straighten out. So I have a
7 concern, when we diverge from objective facts
8 in the record, to starting to look at the
9 presumed rad program going back in time, and
10 procedures that, you know, if implemented
11 rigorously, would have been effective.

12 I mean those presumptions, when
13 you take them back in time, I think, are --put
14 you in jeopardy. I think the Work Group and
15 the Board has to be careful, and I had this
16 dialogue with Jim Neton in Santa Fe last year
17 on the same subject. We have to be very
18 careful about how much reliance one puts on
19 programmatic documentation and programmatic
20 assurances of rigor, quality assurance and the
21 whole thing.

22 And you know I understand where

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 that comes from and the weapons program has
2 been successful because of that rigor. But on
3 the radiation protection side, there were
4 issues, and they were addressed and they've
5 been corrected. But nonetheless, there were
6 issues, and a lot of these issues got down to
7 procedures that should have been implemented
8 more comprehensively and with better quality,
9 and you know, rad protection evaluations that
10 should have been done, perhaps, with more
11 accountability than they were. So I just want
12 to make sure that's square.

13 MR. ROLFES: Can I respond here?
14 I agree with you. I agree, because right now
15 basically, what we're doing is looking at, you
16 know, our interpretation of historical
17 records. So we certainly acknowledge that
18 there were some historical concerns. So
19 that's essentially why we're doing dose
20 reconstructions.

21 Our responses here basically
22 aren't necessarily how we're doing dose

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 reconstructions, because if we did rely upon
2 this information, our intakes would be zero
3 essentially. We wouldn't be assigning any
4 radiation doses.

5 But the way we approach dose
6 reconstructions for the Pantex site, we've
7 looked at historical exposure potential based
8 upon the documentation that we have been able
9 to collect, and used claimant-favorable
10 assumptions to assign those intakes.

11 So were not saying there was never
12 any potential for intake, and this is -- I
13 mean this is the debate, you know, of
14 essentially, you know, are intakes that we're
15 assigning appropriate. So I'd like to
16 continue with that.

17 MR. FITZGERALD: Okay. Well, like
18 I said, again, I thought your March 10th
19 piece, again, was I think a lot of thought
20 went into it. I think I'm reacting to the
21 position. It says here the NIOSH position is
22 that there is compelling evidence sufficient

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 to justify the conclusion, based upon
2 descriptive memos and an understanding of the
3 basics of both the comprehensive radiological
4 protection program and the strict requirement
5 of the nuclear weapons production fabrication
6 controls.

7 That's a strong statement. I mean
8 that basically says, when I got to that
9 statement, it basically said that that's where
10 the source or basis of NIOSH's position on
11 Pantex stems from, and you know, before that,
12 you say there is a lack of field survey data
13 to support a conclusion that exposure
14 potential during the early periods at Pantex
15 were essentially nil, or can be adequately
16 bounded.

17 So you acknowledge that there's a
18 lack of data to support a conclusion.
19 However, and this is sort of the however part;
20 this is where you say but there is compelling
21 evidence.

22 So I'm just saying that, you know,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 that's almost the strongest way one can phrase
2 that, and I guess I take exception to the
3 agency putting such stock in those kinds of
4 descriptions, because I think in the past,
5 certainly from the DOE experience and history,
6 they have been found wanting.

7 I think the way EEOICPA was set up
8 originally, was to challenge the paradigm
9 that, you know, if you have a good program,
10 you're going to be fine in the way of
11 exposures, doses and records. I think this
12 program puts that on its head and says let the
13 data and the information speak, you know, not
14 presume that things were fine by virtue of
15 procedures or programmatic descriptions or
16 what have you, that you have to go back to the
17 source information, and see what objectively
18 that tells this agency as an independent
19 agency, and not take assurances from DOE or
20 rely on DOE.

21 And listen, I lived at DOE. I'm
22 just telling you that this is the reason it's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 an independent evaluation from the outside,
2 and a fact-based, data-based inquiry to avoid
3 those kinds of assumptions.

4 So I just want to, just you know
5 again, I know we've had a lot of exchanges,
6 and you know, these are good-faith exchanges.

7 I think there's ways to interpret things.
8 But from the standpoint of how we're looking
9 at it, that's a bit of a game-stopper for us,
10 that the compelling evidence ought not be the
11 paper.

12 It shouldn't be the program
13 descriptions or whether one thinks there was a
14 comprehensive rad program 30 years ago or not,
15 or whether, you know, the strict regime of the
16 weapons program kept us out of trouble.

17 It probably did in some cases, but you
18 know, to say a blanket, you know, that kind of
19 assurance, the diamond-stamp program, you
20 know, kept us out of trouble with respect to
21 dosimetry and records, I think, is too far a
22 reach.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 So that's kind of -- that's where
2 we're coming from on that issue. I think the
3 compelling evidence can't be just the
4 procedures, the programs and all that.

5 MR. ROLFES: Sure, sure. I agree,
6 I agree. With this response here, basically
7 we're saying that not DOE's documentation is
8 the bounding scenario; it's our interpretation
9 of the data. We're not just strictly looking
10 at procedures and policies for issuing badges,
11 because if we were doing that, essentially
12 we'd -- you know, DOE would be able to do that
13 better than us.

14 So DOE would be doing the dose
15 reconstructions, and basically what we're
16 doing, we're looking at, you know, procedures,
17 policies, the actual data from the
18 individuals, and then we make some assumptions
19 about that data.

20 We look at, you know,
21 uncertainties associated with that data,
22 whether the data are complete, and we make

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 judgments in our Site Profiles to assign
2 intakes that, if you compare the results of
3 our dose reconstruction reports to an
4 individual's actual DOE-recorded dose over
5 their lifetime, the doses almost in every case
6 are sometimes an order of magnitude or two or
7 three times higher than the actual DOE dose of
8 record. And when you compile all these
9 uncertainties for someone who's worked at the
10 site for, you know, 30 or 40 years, the doses
11 that we assign can be unreasonably large
12 sometimes, but yet they're claimant-favorable.

13 So this response here is basically saying
14 that our approach and our Technical Basis
15 Document in our Site Profile is bounding.

16 MR. FITZGERALD: Well, I guess I
17 have two points on this. One, we're in the
18 SEC evaluation context, and I recognize that
19 from a dose reconstruction standpoint, NIOSH
20 is going to apply appropriate conservatism and
21 has always done that. I don't think that's
22 even in debate on this thing.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 But in the context of the SEC,
2 we're trying to establish whether the
3 information, the records, what have you, are
4 adequate and sufficient to enable you to get
5 to the point of applying a conservatism in the
6 dose reconstruction.

7 I'll agree with you. You know,
8 Pantex is a tough one. Pantex, like a lot of
9 us, looked at the operations and said, you
10 know, it's a component factory. You put them
11 together and you take them apart, and you
12 don't really need a comprehensive radiation
13 protection program.

14 You just have to be mindful of
15 tritium and, you know, make sure there's no
16 cracks that would enable sealed material to
17 get out. I mean, you know, as long as you
18 have good QA, diamond stamp, you were in good
19 shape.

20 But, you know, in its operational
21 history, it wasn't pristine. It wasn't that
22 way 100 percent. There were some potential

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 exposure pathways that, you know, we talked to
2 the workers; you have, too.

3 They were exposed, and the issue
4 is, can we find a way to estimate that dose.
5 We can get into specifics. I think you've
6 got specifics coming. I'm just sort of giving
7 the overview, but -- and that feasibility is
8 kind of where we're at. It's not so much
9 whether you can apply conservatism and get
10 down to dose reconstruction.

11 I'm just saying do you have a
12 starting point, in terms of sufficient
13 information, to guide the dose reconstructor
14 or not, which is the essence of the SEC. I
15 think for Pantex, the dilemma is because of
16 the, you know, the mindset, and this was a
17 shared mindset. I mean it was at headquarters
18 too, I'll tell you, that because it was a
19 component assembly-disassembly, you didn't
20 need to have an ongoing routine bioassay
21 program.

22 Unfortunately, in those instances

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 where you happen to have an exposure pathway,
2 you weren't covered. It was only belatedly
3 that they did the kind of sampling and
4 monitoring that would give you the data. So I
5 know we've wrestled with this issue, but I'm
6 going to get down to talking about later, you
7 know, this back-extrapolation issue.

8 But before we get there, I just
9 wanted to finish. Again, I think these are
10 some interesting philosophical points, but I
11 think these are more than philosophical
12 points. They are really what's driving some
13 of the disagreement that we've been debating
14 now for over a couple of years. I just want
15 to spend some time on that, if I can continue.

16 So anyway, you know, in Santa Fe,
17 we had the opportunity to schedule an
18 exchange, that was Jim Neton and myself, on
19 exposure potential. That was last year, last
20 November. And you know, it was really -- it
21 really originated with some issues we had at
22 Mound, but you know, similar issues we've had

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 with Pantex and some other places.

2 I think another problem that
3 happened here is with this notion of how one
4 deals with exposure potential. I'm speaking
5 specifically about the uranium.

6 This is the depleted uranium in
7 the systems, and I'll keep coming back to
8 this, because I think this is, in my way of
9 thinking and my colleagues may want to chime
10 in with other options, but I think the
11 depleted uranium is probably the central issue
12 on the SEC. There are some other issues that
13 need to be resolved, but to me, the depleted
14 uranium is the central one.

15 The dose estimation approaches, I
16 think for DU at Pantex, what you're proposing
17 is unprecedented. I again have not seen that
18 anywhere. It's not based on any, you know,
19 demonstrable bioassay data back when these
20 exposures occurred. You're taking 1989 data.

21 If we had representative field data, if we
22 had air sample data that could be used, I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 think we'd be using it.

2 But you know, there are some
3 issues with that. In a lot of cases, it was
4 collected for alarming purposes, not so much
5 for dosimetry purposes. It wasn't necessarily
6 representative by virtue of where the
7 monitoring was done, the collection was done.

8 As I think Jim Neton outlined in
9 his presentation, as you go down through this
10 hierarchy, you're talking source
11 characterization as well. It's difficult to
12 characterize the source in terms of the degree
13 of exposure, and how much people may have been
14 exposed to it at the time as well.

15 So you know, my concern is Jim's
16 bottom line, as far as 42 CFR 82.17, which is
17 the regulation that he outlined and briefed,
18 was is it's incumbent on NIOSH, these are his
19 words, to quantitatively evaluate exposures
20 associated with known source-terms. Depleted
21 uranium with at least four systems at Pantex,
22 maybe more, involved depleted uranium that may

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 have been available for exposure.

2 And as I say, it's incumbent on
3 NIOSH to quantitatively evaluate those
4 exposures. What does that mean? We went
5 through that, and it means the degree to which
6 the quantitative evaluation considers
7 available data and would include what
8 constitutes a representative sampling of
9 available contamination surveys, nasal smears
10 -- these are right off the slides -- radiation
11 work permits, et cetera.

12 Monitoring data from coworkers,
13 perhaps even a quantitative characterization
14 of radiation environment based on historic
15 workplace information, and this is anywhere
16 from area dosimetry reading, general area
17 radiation survey results, air sampling data,
18 any of the above. Perhaps a quantitative
19 characterization of the radiation environment.

20 You know, if you can't get the
21 actual field data, perhaps you can
22 characterize the radiation environment based

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 on analysis of the processes. These would
2 include radioactive materials, characterizing
3 source materials, job tasks, locations, what
4 have you.

5 So you know, I think what was
6 presented was pretty coherent, because we had
7 some confusion on this with Mound. Pretty
8 coherent, yes. When you're talking about
9 looking at, you know, evaluating exposure
10 potential in the context of an SEC, you have a
11 number of options to march down if in fact you
12 don't have bioassay data, and you can go
13 through a very deliberate process.

14 I would be the first to admit, you
15 know. I think we even pointed this out to
16 Jim, and he kind of like, you know, said one
17 of the items on the long list of things that
18 you could apply was radiation safety
19 practices, and we kind of jumped on it,
20 because that didn't seem to be as
21 quantitative.

22 But he said it was a bit sticky to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 apply radiation protection practices in the
2 SEC context, because obviously it moves away
3 from data information to interpretation of how
4 programs are implemented, and it has to be
5 done carefully.

6 But again, what you described,
7 Mark, a little earlier is a little different
8 than what I read in here, and that's one thing
9 I want to clarify, that when we get to your
10 subsections on the basic characteristics of
11 the Pantex mission and operations, national
12 security assurance requirements and the
13 comprehensive radiation safety program, it's
14 less of what you described and more of a
15 general, you know, we take comfort.

16 We find it compelling that these
17 programs provide the rigor that they have had
18 historically. So I don't take exception to
19 how you're walking down, trying to figure out
20 how to apply conservatism, taking a radiation
21 safety practice and going down through a dose
22 reconstruction basis.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 I think our concern is a priori
2 accepting the rigor as a compelling part of
3 the position that one can dose reconstruct.
4 Okay.

5 MR. ROLFES: Thanks, Joe. This
6 most recent response that was dated March
7 10th, 2011, some of the topics that were
8 identified to us were more subjective than
9 objective topics. So we prepared a subjective
10 response, in order to keep us both on the same
11 page, I guess.

12 Our previous response from March
13 27th, 2009, I'm sorry. That's, the date
14 should be 10/30/2009, and it was probably sent
15 to the Work Group in December of 2009. This
16 one was 38 pages long. To discuss the
17 specific types of information that we have
18 that would allow us to quantify exposure
19 potential, on page nine of that previous
20 response, I just wanted to point we do have
21 bioassay data.

22 The first bioassay data that was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 collected for depleted uranium --

2 MR. FITZGERALD: Can I ask your
3 indulgence, though? Can we get to the
4 specifics on the -- I know we have these dose
5 reconstruction issues, which I think you're
6 talking about the DU and the backstrap.

7 MR. ROLFES: Yes.

8 MR. FITZGERALD: Can we look at
9 that as a specific issue, because I think, you
10 know, the document that you're alluding to
11 also has a lengthy preamble.

12 MR. ROLFES: Right.

13 MR. FITZGERALD: I just want to
14 deal with the preamble first, because the
15 specific points that come later refer back to
16 the preamble quite a bit. I think that
17 preamble is the context or the basis for what
18 drives later in both papers. I just want to
19 make sure that we spend some time on that,
20 because we have debated some of those other
21 issues.

22 But I want to make sure that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 before we go to specific technical points,
2 that we spend some time on the preamble, okay.

3 I think you raised some other issues I want
4 to just address before we get there, and we
5 will get there.

6 MR. ROLFES: But let me respond to
7 what you've said, and then I'll answer
8 specific questions from you about the
9 preamble, if that's okay.

10 MR. FITZGERALD: All right.

11 MR. ROLFES: To quantify
12 historical exposures, we've got, you know, a
13 number of different types of data. We
14 basically developed intakes for our TBD based
15 upon a large collection of bioassay data
16 collected in the 1989-1990 time period
17 associated with some disassembly work.

18 However, prior to that, we do have
19 bioassay data for depleted uranium, and the
20 first year that we have depleted uranium
21 bioassays was 1959 at Pantex. We've got
22 bioassay data in 1960, '63, '65, '67, '68.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 There's a little gap there; not until '78
2 again, 1983, and then quite a bit more in
3 1990, '94 and 2001. There's more of a routine
4 program now in place.

5 It's largely based upon historical
6 policies. Judgment was made about exposure
7 potential, and there were higher limits for
8 exposure potential historically than there are
9 today. In addition to the bioassay data that
10 we have, we also have air monitoring data. We
11 do have source-term information. We have
12 program policy information and we have some
13 swipe data as well.

14 If we take one piece by itself,
15 there's a lot of uncertainty. We might not
16 know the full extent of how long an exposure
17 occurred. We might not know everything about
18 that exposure, so we make some assumptions,
19 and we make claimant-favorable assumptions.
20 We use those uncertainties to the benefit of
21 the claimant.

22 However, when we get down into

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 additional data, when we have air monitoring
2 data and swipe data to show, you know, that
3 there is or is not an exposure potential
4 that's different from what we've assumed, we
5 can use that and focus in on a more precise
6 estimate.

7 So normally, when we have smaller
8 amounts of information, our dose estimates are
9 larger because of the associated
10 uncertainties. But that's just my brief
11 response about the quantitative assessment of
12 the data that we have.

13 MR. FITZGERALD: Yes. I'm talking
14 in a different context. You're, again, going
15 back to dose reconstruction, which I
16 understand that we need to apply that degree
17 of conservatism, and I agree you go back to
18 whatever data you have, to make sure that
19 that's there.

20 But in the context of SEC
21 evaluations, the quantitative assessment that
22 Jim Neton talked about in his presentation

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 last year is again, what is this hierarchy of
2 information that ought to be applied in
3 judging whether or not dose reconstructibility
4 with sufficient accuracy is feasible or not.

5 And, you know, again, we wanted to
6 clarify that question, because we've been in
7 this debate on a couple of sites, where you
8 have -- and usually it's not primary nuclides,
9 because usually you have enough data for
10 primaries. It's usually the secondaries,
11 where you have incomplete data. You know you
12 have an exposure potential, but maybe you lack
13 the actual monitoring information.

14 So how do you actually
15 deliberately walk through this, to come to a
16 conclusion that yes, we can find a way to
17 bound this dose, or we can't? You know,
18 where's the threshold for saying we can or
19 cannot?

20 We got into an issue, to say we
21 got into this issue at Mound, where we finally
22 got to the point where yes, there's no data,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 but you know, the world's best internal
2 dosimetrist was running this program. That
3 person would have known better to have done
4 bioassay, if bioassay would have been
5 required.

6 We're saying wait a minute. You
7 know, that's sort of like saying we don't have
8 any evidence or objective information, but
9 because so and so ran the program, and because
10 it looked like a rigorous program, we can
11 assume he would have bioassayed, if in fact
12 bioassay would have been entailed, because of
13 the exposure back then. So how would you
14 possibly know that?

15 So that's what got us into this
16 discussion. You know, it's got to be
17 something more objective than that, and what
18 is this thought process on the SEC that we
19 should walk down, so that we're not
20 miscommunicating or talking past each other
21 all the time when we get into these questions?

22 For this question, the issue is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 you may have some bioassay data points here
2 and there in the history of Pantex. I agree.

3 I've seen some of those data points.

4 But you have felt that those data
5 points weren't sufficient to base dose
6 reconstruction on, and that you, in the
7 context of the SEC now, would rely on the '89
8 data, because you have more of it, and because
9 it was, and I think this is a subjective
10 judgment, but maybe one that's bounded on
11 talking with operators at Pantex.

12 But this was a pretty dirty
13 situation, a dirty system, and one could
14 conclude, as you have in the ER, that that was
15 a bounding situation, that you couldn't
16 imagine a worse situation, that you wanted to
17 use that as a means to apply intake values and
18 dose reconstruct for all depleted uranium
19 exposures going back.

20 So I guess, you know, again, there
21 may be data on this issue at Pantex. But I
22 think you've already judged that data.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Whether it's these individual bioassays that
2 existed back in history, or even some of this
3 air sampling and smear data, whatever it is.
4 It's not enough to support its use to do dose
5 reconstruction for those exposures that may
6 have occurred back in those systems that were
7 being disassembled, for example. You want to
8 go ahead and apply the '89 data.

9 We can get into that, and I guess
10 we are getting into it. But again, I don't
11 think that satisfies the quantitative approach
12 that Jim laid out, in quite some detail, and
13 I've got the slides with me in detail, which
14 says that you deliberately, you know, looked
15 for quantitative information to base these
16 judgments on in terms of exposure potential.

17 You do not go to, you know, sort
18 of the overarching program, you know,
19 documents and that kind of thing that you --
20 that's something that would not be usable.

21 Okay. I want to just move on to
22 talk about these subsets, because I think

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 these have come up in the past. The first
2 point is the basic characteristics of the
3 Pantex mission operations. I guess we agree,
4 and I said this earlier, that compared with
5 other historic operations, Pantex is and was
6 relatively different.

7 It was, I don't want use the word
8 "cleaner," but because of the nature of the
9 operation, it just did not involve as much,
10 you know, contamination or exposure as some of
11 the other facilities. Most components are and
12 were sealed, and the operations involved
13 assembly and disassembly.

14 But as I kind of pointed out
15 earlier, we disagree, however, that the
16 operations were pristine from a radiological
17 standpoint. In fact, disassembly sometimes
18 involved extended and repeated exposure to
19 depleted uranium, thorium and tritium. These
20 were not always incidents, from the standpoint
21 of unexpected occurrences.

22 For some disassemblies, it in fact

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 was absolutely expected, that you would have
2 those exposures.

3 MR. ROLFES: It was known.

4 MR. FITZGERALD: Right, it was
5 known, exactly. So again, yes. I don't think
6 there's any disagreement of the basic
7 characteristics of the mission operations, but
8 again, we don't see how that is relevant to
9 the specific question of, you know, is there
10 an exposure potential to uranium, and is there
11 a way, is there sufficient data and
12 information to dose reconstruct with
13 sufficient accuracy or not.

14 It's sort of changing the subject,
15 which I want to make sure it's clear, that
16 yes, you know, we don't disagree that the
17 operations were different. But is it relevant
18 to that question? I don't think it is.

19 National security assurance
20 requirements. I think that was the next
21 thing. This is the diamond stamp issue. We
22 looked through and while we were in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Germantown, we looked through a number of
2 national security documents, and talked to
3 people on the weapons program about diamond
4 stamp.

5 Yes, basically, there's no
6 disagreements. A rigorous Quality Assurance
7 Program, and you would expect to have a
8 rigorous Quality Assurance Program on weapons
9 assembly and disassembly. No surprise there.

10 Yes, there clearly was swiping of components,
11 as you point out, before they came into
12 Pantex.

13 But the diamond stamp
14 certification, which is a broad QA
15 certification, doesn't guarantee
16 contamination-free components from all
17 sources, okay. I think yes, Livermore might
18 have been careful and might have had
19 procedures and blah blah blah. But it doesn't
20 guarantee it.

21 I think when we get to Germantown
22 again, we want to show you some documentation,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 which would show that it's a rigorous program,
2 but it's not one of the same as a guarantee of
3 no contamination on the assembly side.

4 MR. ROLFES: There's always
5 exceptions, and some of those, you know, that
6 there's exceptions. And what I'm saying is
7 that we're aware, to the best of our
8 knowledge, that there's exceptions, and we've
9 taken those into account.

10 MR. FITZGERALD: These weren't
11 exceptions by, you know, lack of rigor. These
12 were exceptions that, by virtue of the source
13 where it was coming from, there was some
14 evidence of residual contamination.

15 So but I want to make it clear,
16 you know. I'm not going to debate, you know,
17 did diamond stamp do this or not. I don't
18 think it's particularly relevant to the real
19 issue that the Board is focusing on, which is,
20 you know, does the data and the information,
21 does it give you a sufficient basis for dose
22 reconstruction for uranium exposures or not?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 I mean you know, quite apart from
2 what this program does or what that program
3 does, again I think it changes the subject.
4 It really focuses -- what we're focusing on
5 is, you know, the adequacy and completeness of
6 that data. Does it do it or not? How do we
7 know? And I think, you know, whether or not,
8 you know, the Department implemented diamond
9 stamp Quality Assurance Programs. I can show
10 you Quality Assurance Programs at every DOE
11 site. 5700.C was the quality assurance order.

12 I mean yes, there was a lot of
13 quality assurance and it got even bigger as
14 time went on, with the Defense Board. But
15 does it make a difference historically on this
16 question? I don't think it does. I think
17 it's a useful piece of background information,
18 but it doesn't really bear on this particular
19 issue.

20 MR. ROLFES: Sure. I think I
21 agree with you on that as well. The reason
22 that's in there, you know, what we start with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 in the health physics hierarchy -- I can't
2 speak, sorry, hierarchy of data. We start
3 with personal information, bioassay data and
4 radiation exposure information for that
5 individual and for that coworker, for that
6 individual's coworkers.

7 In addition to that, we've looked
8 at air monitoring data. We've looked at
9 survey and swipe data. We've looked at
10 source-term information, and the diamond stamp
11 program information is in there, just because
12 there's another set of information that might
13 help us to characterize exposures, and
14 basically draw our attention to any specific
15 programs that may have been an issue, where
16 radiological contamination could have been a
17 concern.

18 It was just another source of
19 data, rather than focusing on the use of only
20 one type of data. We've tried to do as
21 comprehensive of an analysis, in looking at,
22 you know, all sources of information that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 might have something of use to us in assigning
2 intakes.

3 CHAIRMAN CLAWSON: Mark, expand a
4 little bit on the diamond. What information
5 on the diamond stamp are you using?

6 MR. ROLFES: Well, if you take a
7 look at some of the earlier -- you know, if
8 you have concerns about the functionality
9 during a Quality Assurance Program, you want
10 to make sure that you track those concerns
11 with a specific weapons system.

12 So there were some occurrences
13 that would result in some significant finding
14 incidence and significant finding
15 notifications. So we have pursued that route,
16 to see if there might have been any
17 information in these significant finding
18 incidents or notifications, that might help us
19 in dose reconstruction.

20 We looked into this probably about
21 three years ago. There might have been some
22 pieces of information that we already had, I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 guess, from other sources of information. So
2 for example, you know, these data might have
3 indicated that there was a problem with
4 uranium corroding or something, for example,
5 and so in looking back at our records, our air
6 sampling data, we've got air monitoring data
7 for that time period or for that program we've
8 got some swipe data.

9 So it was not necessarily our use.
10 We're not relying upon that for dose
11 reconstruction. We're just consulting that
12 source of information as another source, to
13 see if there's additional details that might
14 help to explain exposure potentials or make
15 sure that we didn't overlook something.

16 CHAIRMAN CLAWSON: You understand
17 my background in quality assurance, right?

18 MR. ROLFES: No. Please explain.

19 I mean --

20 CHAIRMAN CLAWSON: My background
21 is quality assurance and the programs. So one
22 thing I want to make sure that you understand,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 that Quality Assurance Program, the bottom
2 line was, was to make sure that it goes boom,
3 and that it meets certain requirements.

4 Then to me, you're putting this up
5 as the holy grail of, that this is the most
6 wonderful thing out there. I've looked at the
7 program, and it is. It's very staunch. But
8 also too, you get back to it and you see the
9 biggest thing that they were looking at is
10 component reliability and items that were
11 found, laws to be corrected.

12 They weren't worried about -- the
13 only reason that corrosion came up was because
14 the parts that they were dealing with, it
15 started to degradate them. So that's where
16 this Quality Assurance Program comes into.
17 I've just been dumbfounded to understand how
18 we could use this into a dose reconstruction.

19 But I understand also, too, that we're
20 supposed to look at all avenues, and be able
21 to look at this.

22 I just, I hope you understand that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 this quality program was a parts list that met
2 this. We have numerous ones throughout there.

3 We deal with Triple 3P right now. I'm just
4 wondering, I just really had a hard time
5 understanding how we were using this in dose
6 reconstruction.

7 As throwing out that we've got the
8 diamond stamp, okay. It's just another style
9 of Quality Assurance Program. It has nothing
10 to do with the components. It does have to do
11 with the wells, it has to do with the size, it
12 has to do with everything like that. But
13 nothing with the components side.

14 MR. ROLFES: I'd agree with you,
15 that there really isn't much that can be used
16 from dose reconstruction. This was more to
17 make sure that we investigated all avenues, to
18 make sure that we were aware of as many
19 possible exposure potentials as we could.

20 So this source of information was
21 just another piece, to make sure that we
22 weren't missing a big part of the puzzle.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 CHAIRMAN CLAWSON: So I'm sure
2 that you've looked at the Tiger Team report?

3 MR. ROLFES: Yes.

4 CHAIRMAN CLAWSON: You've read
5 parts of it, because I was just thumbing
6 through it. There's inadequate information --
7 this is page 88. There's inadequate
8 information on the hazard-related risks of
9 various operations in the site. There's
10 inadequate guidance on how the personnel risk
11 and plan accordingly.

12 Site studies do not have all
13 resources available to satisfy requirements
14 suitable. I can go on. This is just five out
15 of 40 where they're hammering them on their
16 procedures, people. The one that I found most
17 interesting was just down a little ways, and
18 let's see.

19 Basically, what they're saying is
20 -- here it is. "The work environment is
21 reactive, rather than proactive." As you've
22 said, you know, bioassay was event-driven, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 that this is just another statement to it. I
2 hope that when we're looking at all the
3 information, we just don't take out the
4 information that we like, to be able to see
5 it.

6 MR. ROLFES: True, true.

7 CHAIRMAN CLAWSON: Because in
8 anything like this, we need to make sure --
9 our bottom line is, is to make sure that the
10 claimants are being treated friendly, and also
11 that we're reviewing all the avenues we can.

12 MR. ROLFES: I completely agree
13 with you on that. Certainly, you know, if we
14 were excluding, you know, information that we
15 didn't like, we wouldn't have incident-based
16 intakes, and you know, our claimant-favorable
17 analyses regarding exposure duration, exposure
18 potential, that essentially in some cases may
19 not have existed.

20 We've made some pretty claimant-
21 favorable assumptions regarding exposures that
22 may have occurred, but were of such low

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 probability that they likely did not occur.
2 Regarding the Tiger Team report though, I
3 looked at it a while back, and it's been a few
4 years, because I know that the petitioners had
5 identified it to us. It's more than a
6 thousand, or it's right around a thousand
7 pages in length.

8 CHAIRMAN CLAWSON: 850 to be
9 exact.

10 MR. ROLFES: Okay. I'll have to
11 take a look back at page 88, but from what I
12 recall, there was only a couple of pages that
13 were specific to the radiological protection
14 practices and concerns about health physics
15 staffing levels.

16 Most everything else wasn't very
17 clear as to whether it was in fact dealing
18 with radiation exposures, or if it was more
19 towards, you know, explosive operations.
20 Because, you know, that was one of the primary
21 concerns, was the concern about detonating
22 high explosives.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 I can take a look back to see what
2 it says on page 88 there, with those -- you
3 said there were 40 issues.

4 CHAIRMAN CLAWSON: It's part of
5 the safety and health evaluation which they
6 were doing.

7 MR. ROLFES: Okay.

8 CHAIRMAN CLAWSON: What -- the
9 point that I'm trying to get to is that I hope
10 that we're looking at all avenues of this,
11 because one of my big things is on the part of
12 event-driven bioassay. What classified as an
13 event? Do you remember what the health
14 physicist told us down there, Scott?

15 MR. ROLFES: What's that.

16 CHAIRMAN CLAWSON: "We're going to
17 clean it up before the end of the shift."
18 Now, after 1989, that is if they had great,
19 strict regulations.

20 MR. ROLFES: Things are certainly
21 different now than they used to be, and I
22 fully understand that and acknowledge that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 There was a large policy change with, you
2 know, different approaches on controlling the
3 radiation exposure.

4 You know, historically, people
5 were allowed to receive a lot more exposure
6 than they are nowadays. There's a lot lower
7 administrative control guidelines and
8 radiation exposure limits.

9 CHAIRMAN CLAWSON: And to get back
10 to what Joe was saying, to be able to take
11 this on a procedure level, that everything was
12 done correctly, I think that's kind of where
13 our heartache comes into, especially anybody
14 that's really worked in the industry. We know
15 how the procedures go. I just -- I want to
16 make sure that we're looking at all things on
17 that. Sorry to interrupt, Joe.

18 MS. ROBERTSON-DeMERS: Can I break
19 in and ask a question of Mark?

20 CHAIRMAN CLAWSON: Sure.

21 MS. ROBERTSON-DeMERS: Have you
22 located the significant finding notifications

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 and significant finding incidents, and if you
2 have, where did you locate them and under what
3 titles?

4 MR. ROLFES: They'd be with the
5 design laboratories.

6 MS. ROBERTSON-DeMERS: Okay. So
7 you located them at LANL, Sandia and
8 Livermore?

9 MR. ROLFES: We spoke with people
10 from the design laboratories regarding the
11 significant notifications. Not a
12 comprehensive analysis of those, but I spoke
13 with some specific engineers regarding those
14 data.

15 MS. ROBERTSON-DeMERS: Did you
16 actually get your hands on these?

17 MR. ROLFES: I have to take a look
18 back at my trip notes.

19 MS. ROBERTSON-DeMERS: Okay. Can
20 you let me know, because that's one of the
21 things we're trying to track down.

22 MR. ROLFES: Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MS. ROBERTSON-DeMERS: Thanks.

2 MEMBER BEACH: So are we taking
3 that as an action from this meeting?

4 CHAIRMAN CLAWSON: Yes.

5 MR. ROLFES: Those, I was going to
6 say those notes are in the SRDB as well. I
7 can send out my notes that are draft notes, so
8 --

9 CHAIRMAN CLAWSON: Mark, you'll
10 take that as an action, to make sure --

11 MS. ROBERTSON-DeMERS: Maybe you
12 can just provide me with the SRDB number.

13 MR. ROLFES: I can do that.

14 MS. ROBERTSON-DeMERS: Okay.

15 CHAIRMAN CLAWSON: Sorry, Joe.

16 MR. FITZGERALD: Okay. Again,
17 walking through what I would call the
18 preamble, and it's the preamble to, I think,
19 the previous paper as well as the March 10th
20 paper, which sets the stage for, I think, the
21 NIOSH position. Again, it's the compelling
22 evidence that the conclusion of dose

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 reconstructibility is the right one.

2 I want make sure we outline, point
3 by point, where we have differences on this.
4 So on the comprehensive rad safety program,
5 we'll leave the national security assurance
6 requirement behind. I've heard you say there,
7 and you've qualified your remarks, saying that
8 it was a piece of something that contributed.

9 But again, I have to go back to
10 where you make it very clear up front that
11 this was the compelling evidence that
12 justifies your conclusions. So I just want to
13 make it clear that I think I'm hearing you say
14 a little something different than what's in
15 this paper.

16 But going to the comprehensive
17 radiation safety program, and we've had
18 discussions on this in the past, that you
19 know, one can look to the rigor of that
20 program, as a means to provide assurance that
21 those who should have been monitored were
22 monitored; that internal dosimetry procedures

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 were implemented, in terms of the bioassay
2 samples that would have been event-driven;
3 that contamination would have been cleaned up
4 quickly; and that swipe results were taken, so
5 forth and so on.

6 I think you provide a number of
7 quotes about, you know, the program responding
8 to contamination and instances of air
9 releases, as well as the 1961 Cell 6 and so
10 forth and so on. What I'm going to give you
11 is a slightly different picture, because I
12 think we don't agree that in fact Pantex
13 historically had a comprehensive radiation
14 protection program, in the same vein as you
15 have described it.

16 So I want to just go through this.

17 Almost every independent audit that we can
18 find, and we're still looking for more, of the
19 historic radiation protection program at
20 Pantex, fading from 1980 has found serious and
21 fundamental flaws in its comprehensiveness,
22 design, staffing, policies, procedures, self-

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 assessment, dosimetry and scope, almost A to
2 Z.

3 I'm going to give you, and we'll
4 put this in writing. I mean I just want to
5 give you an outline of some of the -- and
6 these are independent reviews, not sort of in-
7 house Pantex reviews, but independent reviews
8 from the outside. 1980, this is a DOE
9 Albuquerque Operations Office. DOE
10 Albuquerque was responsible for Pantex, and
11 they were investigating a radiation exposure
12 incident at Pantex, and I believe this is in
13 the SRDB.

14 "Found the overall quality of the
15 Pantex dosimetry program to be deficient.
16 Dosimetry laboratory technicians never
17 received formal training for their
18 responsibilities, no approved internal
19 operating procedures for the dosimetry
20 program. Neutron dosimetry calibration not
21 performed adequately. TLD response not
22 understood for specific applications, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 operators at Pantex mis-assigned dosimeters,
2 leading to a lack of or potential lack of
3 neutron dose assessment."

4 That's where the quarterly versus
5 the, I guess with monthly dosimeters. Some
6 had neutron dosimetry, some did not, you know,
7 that whole issue. So that was the big flap.

8 MR. ROLFES: There was a concern
9 in that time period, because of the dosimeter
10 that was used. They were unable to report
11 neutron doses correctly in a high gamma flux
12 field.

13 MR. FITZGERALD: So yes, I guess
14 my point is that Albuquerque rightfully was
15 really concerned about it, and went in and
16 found all these program deficiencies to boot.

17 So the incident sort of led them to a more
18 broader investigation and a number of
19 findings, which all focus on dosimetry, and
20 all sort of give you pause as to how
21 comprehensive the Pantex program could be, if
22 you could have such a suite of deficiencies.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Okay. Brad mentioned the Tiger
2 Team, and since we were trying to figure out
3 what the heck it said, I outlined it. I
4 didn't want to interject at the time. The DOE
5 Tiger Team found program deficiencies in
6 health physics support staffing levels and
7 training, as you were pointing out.

8 But this is the staffing and
9 training that was necessary, in the Tiger
10 Team's view, to support and sustain adequate
11 air sampling and swiping. So the implications
12 for that is they were concerned about the
13 staffing levels, rad techs and whatever,
14 because you couldn't possibly cover the plant
15 comprehensively if you were going to do the
16 necessary swiping and air sampling that a
17 plant that size would require.

18 So there's, you know, the staffing
19 just wasn't sufficient. The quality assurance
20 for rad monitoring data, control of rad
21 sources, maintenance of employee exposure
22 records, contamination of reports, pre-

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 employment and new employee baseline bioassay
2 monitoring were some of the finding areas in
3 that Tiger Team.

4 MR. ROLFES: Joe, before you go
5 on, I see you're reading off of a piece of
6 paper there. Is that something you might be
7 able to share with us?

8 MR. FITZGERALD: Sure. I mean I
9 kind of relied on DOE to clear a bunch of
10 stuff, including this tome that Kathy wrote,
11 and they just -- in fact, I was hoping they'd
12 have a number of things that would be clear
13 for this meeting, and they just couldn't make
14 it.

15 So unfortunately, we could get the
16 data accuracy out. We couldn't get all of
17 sort of the stuff that would be presented in
18 the meeting. So yes. I mean I'd be glad to
19 give this to you, but I can't distribute it
20 formally.

21 1990. This was in the same time
22 frame. It actually followed the Tiger Team,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 because most of the sites, once they got a
2 Tiger Team, you know, the field office, after
3 the Tiger Team left, sort of went in to try to
4 figure out, you know, exactly what the Tiger
5 Team was talking about.

6 So if you could imagine
7 Albuquerque went in after the Tiger Team left
8 at Pantex, and wanted to find out, you know,
9 okay. You found these deficiencies I just
10 talked about. You know, what else is going
11 on, and is the rad protection program
12 comprehensive or not. What that report found
13 in 1990, right after the Tiger Team left, they
14 found deficiencies in the internal and
15 external dosimetry programs, and a lack of
16 radiation safety procedures and guidelines
17 from the rad techs, performing duties such as
18 types, frequency and location of swipes.

19 So they kind of added to what the
20 Tiger Team found, and found some more
21 programmatic deficiencies related to dosimetry
22 and what the rad techs were doing as far as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 comprehensive swiping and contamination
2 control. That report, I'm trying to remember.

3 I think that was in Germantown. So I think
4 at the very least, if it's not in the SRDB
5 they'd be available there.

6 The 1991, this is a year later.
7 This is a GAO report, and actually you can get
8 this online, so I'll give you the citation.
9 RCED-91-103. It's 91-103. It's a GAO report
10 from '91. This was, as follow up to the Cell
11 1 accident.

12 MR. ROLFES: Would you provide
13 that to us please? It would make it easier.
14 You could send us a link or something.

15 CHAIRMAN CLAWSON: Well, that's
16 the same thing we go through with you on our
17 SRD numbers.

18 MR. ROLFES: Sure, sure, I
19 understand.

20 MR. FITZGERALD: Okay, I'll Google
21 it. I think it's there. GAO reports tend to
22 be right up online. But here's a quote from

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 that report. "The radiation protection staff
2 at Pantex was ill-prepared to handle the
3 release of radioactive gas like tritium.

4 The staff had little or no
5 knowledge of the general -- this is the health
6 physics staff -- of the general
7 characteristics of tritium, and the biological
8 hazards that such a hazard posed.

9 "They took few to no precautionary
10 measures to protect workers from being exposed
11 to the gas." This is sort of a critique on
12 the Cell 1 accident.

13 MR. ROLFES: Sure, sure.

14 MR. FITZGERALD: It speaks to, you
15 know, again speaks to the rad protection
16 program, how comprehensive and rigorous it
17 might have been historically. Even going up
18 to '93, when the Defense Board came on the
19 scene, the Defense Board was concerned about
20 continuing deficiencies in the external
21 dosimetry program.

22 They actually came up with a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 finding specific to Pantex and external
2 dosimetry. What they were focusing on was
3 their concern over discrepancies in neutron
4 dosimetry, because of the energy, depends that
5 issue.

6 MR. ROLFES: Right.

7 MR. FITZGERALD: But you know, the
8 problem was that they weren't correcting it in
9 a timely way. So you know, when we go to --
10 if and when we go Pantex, there's a number of
11 other investigation reports. But you know, I
12 just want to belie the sense that's provided
13 in the March 10th report, and in the prior
14 report, that somehow you have this, you know,
15 this facility that had this rigorous program
16 that locked down a lot of these issues.

17 And I went through all these
18 programmatic descriptions, and you know, I
19 guess from my experience of going through and
20 doing audits at all the DOE facilities, you
21 know, I can look at the program descriptions
22 and find the same descriptions at every single

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 site.

2 In fact even today, when we did
3 operational audits, because you know, the
4 formal program was pretty established.
5 Everybody sort of knew how to write against
6 the -- whether it was 54-811 or 835, everybody
7 knew how to write against the requirements.

8 So we didn't expect to find the
9 written program, you know, out of sync with
10 the regulations or the DOE orders. But the
11 implementation though, the actual execution
12 against those requirements, particularly if
13 you go back in time, because there's nobody
14 here, I don't think, that remembers Chapter
15 11, except for Bryce, Rich and Mel Chew.

16 Stu Hinnefeld remembers Chapter
17 11, but you know, it was like three pages
18 long. So you know, in the old days, it was
19 all performance-based. They'll often do well,
20 have an ALARA program, but there was nothing
21 that said, you know, what it had to contain
22 and how it was to be implemented in any

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 detail.

2 So it was all performance-based,
3 and each site kind of, you know, interpreted
4 it differently, and the level of rigor and
5 what they did was different. So again, I
6 think I would not want to see comprehensive
7 rad protection program historically listed as
8 compelling evidence for Pantex. I guess that
9 would be the short form answer to what I would
10 object, in terms of the position that NIOSH
11 has taken relative to Pantex.

12 MR. ROLFES: Comprehensive back in
13 those days wasn't the same comprehensive as
14 nowadays. I mean that's --

15 MR. FITZGERALD: I don't think
16 Albuquerque Operations Office felt in 1980
17 that they had a comprehensive program, and
18 that was back well before we changed Chapter
19 11 to 54-11, well before 835 and enforcement
20 came along.

21 MR. ROLFES: One could make that
22 same statement today. I mean --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. FITZGERALD: Well, I'm just
2 saying, though, that yes, the question is did
3 Pantex have a comprehensive program at any
4 point in time, and I would say that given
5 contemporaneous audits done by outside
6 reviewers, the answer is no.

7 And again, I don't think the
8 historic facts back up that assertion, and I
9 don't think that should be used as compelling
10 evidence for the NIOSH conclusion for Pantex.

11 MR. ROLFES: One could say that
12 current operating sites, you know, both in
13 government industry and private commercial
14 industries, one could make the same statement,
15 that there isn't a comprehensive program,
16 because not every single thing is monitored.

17 MR. FITZGERALD: Well, I think
18 you're changing the subject. I think what
19 we're saying is that putting forward or
20 advancing the assertion, that there's
21 compelling evidence sufficient to justify this
22 overall conclusion, this basic conclusion,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 based on these descriptive memos, and an
2 understanding of the basics of both a
3 comprehensive radiation protection program and
4 strict requirements of nuclear weapons, so
5 forth and so on.

6 I think the burden's on NIOSH to
7 back up that statement, that in fact the rigor
8 of the program at any particular time during
9 its history could be termed comprehensive
10 enough to be relied upon in that degree of
11 rigor, particularly --

12 You know, this is not -- Mark,
13 this is not the sealed source program wasn't
14 followed, or you know, maybe your ALARA
15 program wasn't written up well. These are
16 findings straight to the dosimetry program and
17 recordkeeping program, and staffing to do
18 swipes and staffing to do contamination
19 control, air sampling.

20 I mean this goes right to the
21 heart of what is pertinent to the SEC, which
22 is, you know, if you're going to look at the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 backdrop of the rad protection program, you'd
2 want to be assured that those elements of the
3 rad protection program were in fact operating
4 and running.

5 These findings are pretty damning,
6 quite frankly, and you know, not to have, you
7 know, to have one or two rad techs for
8 contamination control, which is what the Tiger
9 Team was concerned about, you know, was a real
10 problem. You couldn't do it with that few
11 people, and they weren't even trained to do
12 it.

13 MR. ROLFES: I disagree with you a
14 little bit there because, as you were talking
15 about the GAO report from 1990, and I may have
16 seen this report. I know there's quite a bit
17 of documentation regarding the tritium
18 incident in 1989.

19 But you know, the failure of the
20 staff to prevent a release of tritium is, you
21 know, it's a concern obviously for operations.

22 But it's not necessarily a concern for us in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 the dose reconstruction process.

2 The reason is we have a pretty
3 large set of bioassay data from the people
4 involved --

5 MR. FITZGERALD: Exactly, exactly.

6 You're making my point. You don't need to
7 rely on the rad protection program. You don't
8 need to rely on diamond stamp. You don't need
9 to rely on assumptions about what
10 operationally was done. You need to rely on
11 the data. That's exactly what I'm saying.

12 I'm walking through this and
13 saying that it's equivocal, meaning that yes,
14 you are putting those on the table, and I'm
15 trying to take them off because frankly one,
16 it changes the subject, and I've said that a
17 number of times, because the real subject is
18 the data and the information, the bioassay
19 information that guides this.

20 The second issue is I think on all
21 these points, I can make a counterpoint that
22 says even if you want to rely on those, I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 don't think that's well-founded. But I would
2 first argue I don't think you should rely on
3 that. I think those are subjective,
4 interpretive, non-evaluative pieces of
5 information that don't necessarily get to the
6 heart of the matter on the SEC.

7 MR. ROLFES: Since you had
8 interjected after I said bioassay data,
9 there's you know, there's quite a number of
10 reports as I said. Just about everyone we
11 speak with during the telephone interviews
12 who's a claimant mentioned the 1989 incident,
13 whether or not they were directly involved.

14 MR. FITZGERALD: Well, why not?
15 They won't mention the 1963, because not too
16 many people were left that would have been
17 working in '63. Yes, I'm just saying that
18 yes, that people are going to mention '89,
19 because the workers that you're talking to,
20 that would have been something they would have
21 been involved with or been at the plant at the
22 time.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 People remember the nearest, most
2 recent event, which would have been the '89
3 event. You're going to find very few people
4 that can account for the '66 or '63, whatever
5 it was --

6 MR. ROLFES: '61.

7 MR. FITZGERALD: '61, because
8 they're gone or they won't be available to
9 talk. That very well, they might have had a
10 story that was much more lurid than the people
11 who are telling you about the '89, but we'll
12 never know, because they're not around
13 anymore.

14 So I just want to be careful with
15 being, you know, I know this is a good faith
16 effort, to try to figure out where do we have
17 the data. But I think we've got to step back
18 some time and say well, people are talking
19 about the '89 incident, and we have all this
20 information and all these samples and
21 everything, and geez it looks bad, and
22 everyone says it looks bad and they changed a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 lot of things right after that because it was
2 so bad.

3 But it was the most recent
4 incident of this kind. So therefore, it's
5 data rich and it's easy to say let's just use
6 that, because it just looked -- it just
7 appears to be bad, and we can't find anything
8 else to suggest it wasn't the worst.

9 When we get down to this issue,
10 and it's sort of like looking for a needle in
11 a haystack when we were in Germantown, because
12 you know, I think most of the stuff we had
13 seen and most of the stuff you had seen too.
14 But we found something that was kind of, you
15 know, was interesting to me.

16 It was an average depleted uranium
17 air sample, that was an averaging of depleted
18 uranium air samples for the 28th in '89, and I
19 also -- well, that was one document. But I
20 also found an average uranium air sample for a
21 weapons systems disassembly, and the average
22 for the one in the 60s was actually higher by

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 a factor of two, I think. I was trying to get
2 that cleared for this meeting. I couldn't get
3 it cleared.

4 But it was higher by a relatively
5 significant factor. I can't remember if it
6 was 50 percent or double the B28. And you
7 know, there isn't a whole lot of data that one
8 can hang their hat on at Pantex. I think both
9 you and we have searched high and low for
10 something like that.

11 But even if I could not put my
12 finger on this, and it's just a piece of data.

13 Who knows, and we may have arguments on that.

14 But it's indicative of this situation, where
15 you have settled on the '89 set of bioassay
16 data. Yes, there's a lot of data. It's a lot
17 of data. It's more recent. You have a lot of
18 interview information, because workers were
19 familiar with that particular incident.

20 But how can one assume, without
21 something more corroborating, from the
22 standpoint of actual data, that these prior

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 systems, you know, I'm not going to mention
2 the system from the early days, because I'm
3 not quite sure yet whether that's extensive or
4 not. But whether it is a system that rivals
5 if not exceeds the B28 that you're using, that
6 disassembly process, and in the previous 30
7 years.

8 If so, then you're not bounding
9 the exposures necessarily at all. That's the
10 concern I have there for that one. But
11 getting back on how we got there, getting back
12 to the preamble, I'll leave that little kernel
13 for later. Getting back to the preamble,
14 again I think the rad protection program, we
15 had and do have some of the best health
16 physicists in the world in the DOE complex.

17 I guess I can say "we," I'm
18 retired from DOE. But yet we also have some
19 of the most challenging and frustrating health
20 physics exposure situations as well, and a lot
21 of people had trouble squaring that issue.

22 But that's all I would leave you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 with, that you know, it's not a question of
2 whether or not the expertise, the good
3 intentions and design was there, or whether
4 even the regulations and procedures were
5 there.

6 It just sometimes didn't happen,
7 because you had management decisions, you had
8 staffing deficiencies. You had some paradigm
9 problems, where people just didn't think there
10 was a contamination issue, because they dealt
11 with sealed sources all the time, sealed
12 components, and so there wasn't that real
13 drive.

14 Sometimes it just was that you
15 didn't have a strong health physicist, who was
16 exerting leadership and being supported by his
17 management, his or her management. So there
18 was a number of reasons. I'm just saying that
19 you've got to be very careful on the rad
20 protection. Moving on to data gap summary --

21 MR. ROLFES: To get back to,
22 before we move on --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. FITZGERALD: All right.

2 MR. ROLFES: You had identified
3 some of the independent reviews of the Pantex
4 plant, and we've also pointed some out as
5 well.

6 MR. FITZGERALD: Sure.

7 MR. ROLFES: And I've got a couple
8 of statements here regarding, you know, some
9 independent audits that were done. I think
10 one of the earlier ones was done by the Office
11 of Military Application. These are in the --

12 MR. FITZGERALD: What year?

13 MR. ROLFES: 1967, I believe it
14 was.

15 MR. FITZGERALD: Now you have to
16 clarify. Military Application was the owner
17 of the Pantex operation. They were out of the
18 Defense Programs portion. So you know,
19 everything's not quite as independent as --

20 MR. ROLFES: As independent.

21 MR. HINNEFELD: It may or it may
22 not be. This is an owner audit, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Albuquerque may in fact be, it may be the
2 Health and Safety Branch of Albuquerque, which
3 may in fact not be in the same organization.
4 You don't know that it was independent. It
5 may not be as independent.

6 MR. ROLFES: Okay.

7 MR. FITZGERALD: But I'll grant
8 you. The definition I used was outside the
9 Pantex plant. So that, I guess from that
10 standpoint, it's more independent than an
11 internal audit. But go ahead.

12 MR. ROLFES: I just wanted to read
13 some of the statements regarding, you know,
14 shipments of materials coming from Rocky
15 Flats. This is one of the things that we
16 focused on. We were focusing on some site
17 expert interviews as well, to make sure that
18 we looked into any exposure potential for
19 materials coming from other sites.

20 We basically heard from
21 individuals that materials were flagged upon
22 receipt to determine if there was any

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 contamination, and if contamination was
2 present, it would need to be removed before
3 the materials would be send back to the
4 shipper.

5 Some of the statements from, this
6 is SRDB 14207. It's in my report here on page
7 three. It says "Our history in performing
8 these tests regarding swipes over the past 16
9 years, and this was written in December of
10 1985, has not indicated any occasional or
11 contamination was discovered, which might have
12 been a personnel hazard.

13 From the health protection survey
14 report of the Pantex plant in December of
15 1967, there are some statements. I've just
16 pulled out a couple of statements here, but
17 this says "Personnel exposure control and
18 radioactive contamination control are
19 excellent. Nuclear components are surveyed
20 for loose contamination upon arrival at the
21 Pantex plant, and rechecked as they are
22 assembled into weapons.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 "During disassembly operations,
2 contamination checks are made at each step,
3 where there is a potential for loose
4 radioactive material. Routine area surveys
5 are also made in locations where radioactive
6 material is handled or stored. Records
7 indicate that very little, if any,
8 contamination is detected, and weapon
9 components do not normally present
10 contamination hazard.

11 "If the unit should be involved in
12 any type of unusual incident, a special survey
13 would be made and extra precautions would be
14 taken, as appropriate." My last bullet here
15 is "The bare samples or contamination survey
16 should indicate the potential for internal
17 personnel exposure. Special bioassays would
18 be made.

19 "A review of air monitoring
20 results for the past year indicated excellent
21 contamination control in all areas." That was
22 from 1967 as well.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 CHAIRMAN CLAWSON: Now all three
2 of these that you just stated were in-house;
3 correct?

4 MR. ROLFES: These were health
5 protection survey reports of the Pantex plant,
6 and I'll have to take a look back at the
7 source to make sure that I have the correct --

8 MR. HINNEFELD: '67 was the Office
9 of Military Applications. I don't think we
10 should consider that in-house.

11 CHAIRMAN CLAWSON: Well, I just
12 see down at the bottom "Health Protection
13 Survey Report."

14 MR. HINNEFELD: Correct. That's
15 the title of the report. But we don't know
16 right now where it's from.

17 MR. ROLFES: I can check on that
18 if you'd like.

19 CHAIRMAN CLAWSON: Yes. I can --
20 so as soon as those objects got into Pantex,
21 they were surveyed, is what you're saying?

22 MR. ROLFES: That's correct.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MS. ROBERTSON-DeMERS: This is
2 Kathy DeMers. I wanted to point something
3 out, and just for your reference, these
4 sheets, these shipment sheets, which came from
5 Y-12, are available on the O: drive, under
6 SC&A Retrieved Records, Y-12. But we have
7 shipment records where we had detectable
8 contamination removables leaving Y-12, going
9 to Pantex.

10 I think you should consider these,
11 because some of this removable contamination
12 can get up to about 1,000 dpm per 100
13 centimeters squared. So things coming in were
14 not always pristine, or at least at the point
15 where they left Y-12, they were not pristine.

16 MR. ROLFES: I've seen
17 documentation of the same, Kathy, and also
18 I've seen some documentation of the safe,
19 secure trailers having contamination in them
20 as well. So I am aware of that. So thank
21 you.

22 MS. ROBERTSON-DeMERS: Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 You're aware of those documents, that you can
2 go and look at them?

3 MR. ROLFES: Yes.

4 MS. ROBERTSON-DeMERS: Okay.

5 MR. ROLFES: For the health
6 physics survey report of the Pantex plant, I
7 have the individual's name, but I don't have
8 the organization. So it's probably out of the
9 Albuquerque Operations Office. I can clarify
10 that. Let me see if I can pull up the other
11 reference here. Bryce, are you out there on
12 the phone still?

13 MR. RICH: Yes, I am.

14 MR. ROLFES: Do you recall, I have
15 the individual's name on the report from SRDB
16 13310. I don't want to say the individual's
17 name, but do you happen to recall where that
18 health physics, health protection survey
19 report of the Pantex plant is?

20 I want to say that the individual
21 was out of Albuquerque Operations office. I'm
22 not sure. I know he also had done some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 analyses, and health protection survey reports
2 of the Iowa Ordnance plant.

3 MR. KATZ: Jenny, we're talking
4 about an author of a governmental report. Is
5 there a Privacy Act concern?

6 MS. LIN: There shouldn't be --
7 it's the author.

8 MR. ROLFES: Okay, fine. Yes, the
9 individual report was offered by Claude Davis.
10 So I know I've seen his name on several
11 reports for various sites. So I don't think
12 he was limited to the Pantex plant, because he
13 was auditing other sites. I'd have to --

14 MR. RICH: No, no, he was not, and
15 I don't remember either, and my computer's in
16 the shop right now. So my database is not
17 available to me.

18 MR. ROLFES: Okay. Maybe the
19 Office of Military Application -- Bryce, do
20 you recall the Office of Military Application
21 reference that I'm referring to? That might
22 have been maybe later, in 1980 perhaps?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. RICH: I think so.

2 MS. ROBERTSON-DeMERS: Mark, there
3 was an audit from OMA.

4 MR. ROLFES: Yes.

5 MS. ROBERTSON-DeMERS: That
6 occurred in 1981.

7 MR. ROLFES: '81. Okay, thank
8 you. I don't know if we've mentioned that one
9 in here or not, but it was in my head.
10 Anyway, I guess that's sort of besides the
11 fact.

12 MR. FITZGERALD: Mr. Chairman.

13 CHAIRMAN CLAWSON: I just wonder
14 when we quote things like this, it would be a
15 very good to know where they're from, and I
16 think you ought to quote some of the negative
17 ones in there too. But I know when you're
18 trying to make a point there.

19 MR. ROLFES: Sure. Well, we
20 basically -- SC&A has focused on the
21 negatives. We've focused on all of them, I
22 think.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 CHAIRMAN CLAWSON: I wouldn't say
2 that one. I think --

3 MR. FITZGERALD: Well, let me
4 clarify. The reason we cited the negative
5 findings is because you're taking credit for
6 the comprehensiveness of the radiation
7 protection program historically at Pantex. I
8 think what we wanted to provide some
9 perspective on is that others have found that
10 the programs apparently weren't as
11 comprehensive as is labeled here.

12 So but again, I mean I think we
13 can go down this tangent. I don't want to go
14 down a tangent. I just want to point out that
15 one, I don't see how any of this bears on the
16 central question of the SEC at Pantex. And
17 two, I think we have spent about a hour and a
18 half raising some honest disagreements and
19 factual problems with the compelling evidence,
20 as you term it, in the paper that supports the
21 conclusion, using these sources or this
22 backdrop. So but let me continue.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 CHAIRMAN CLAWSON: Okay. How
2 about if we take a 10 or 15 minute break.
3 It's about 10:30.

4 MR. KATZ: How about we keep it to
5 ten. I'm just thinking Mark has to leave at
6 2:00, and we need to make the most use of his
7 presence.

8 MR. FITZGERALD: All right.

9 MR. KATZ: Sounds good.

10 CHAIRMAN CLAWSON: Let's take a
11 ten minute break.

12 MR. KATZ: Okay. The phone's on
13 mute, but I'm not cutting it off.

14 (Whereupon, the above-entitled
15 matter went off the record at 10:33 a.m. and
16 resumed at 10:44 a.m.)

17 MR. KATZ: All right. This is
18 Pantex Work Group. We're just reconvening
19 after a short break.

20 MR. FITZGERALD: Okay. I just
21 want to wrap up the comments on the preamble
22 piece of this, and the data gap summary, I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 think basically Mark, what you basically
2 conclude there is that, you know, given the
3 weapons assurance program, the radiation
4 protection design, et cetera, that any gaps
5 would be more in the field data and not in the
6 event-driven bioassay data.

7 That's why I spent some length to
8 dispute the validity of that backdrop of
9 programs, because you very clearly say that
10 you can rely that either event-driven bioassay
11 was or wasn't done, because you have faith in
12 those programs. I'm saying I don't think that
13 faith is well-placed because one, programs may
14 not be implemented, but well-intentioned
15 people think they are.

16 And the other thing is I think
17 we've disputed, at least in a good faith
18 effort, that it's equivocal, that you can rely
19 on the rad protection program
20 comprehensiveness, and the fact that
21 procedures were implemented as stated, back in
22 the day.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 So you know, it's not spending a
2 lot of time being spiritual or philosophical
3 here. You really base your conclusion in
4 this, that you can rely on event-driven
5 bioassays being performed or not performed,
6 because you have faith in those programs and
7 how they ran them.

8 This sounds a lot like what led me
9 to suggest to Jim Neton that we have this
10 discussion in Santa Fe, that you know, that
11 struck me at Mound as not appropriate, and we
12 had the discussion.

13 He agreed that yes, you know,
14 under the EEOICPA program, NIOSH had to hew to
15 a quantitative approach, and not in fact rely
16 on a program on, and in that particular
17 instance, and I think we we're back in that
18 same place in this degree.

19 So in terms of data gap summary,
20 obviously we don't agree with that conclusion,
21 based on weapons assurance information and the
22 so-called comprehensive rad protection program

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 design. So I just wanted to make sure that's
2 clear, that you know, when we get to this
3 bottom line, that's why we have problems. Now
4 before --

5 MR. ROLFES: Before you move on,
6 can I respond?

7 MR. FITZGERALD: All right.

8 MR. ROLFES: We can't rely solely
9 on the procedures and programs. We don't do
10 that. We look at the data that we have
11 available to us. We pay attention to what the
12 worker says in their claim forms and in their
13 telephone interviews.

14 We've held multiple outreaches for
15 several years at Pantex, to make sure that we
16 have heard everything that we can possibly get
17 from the workers, in the preparation of our
18 Technical Basis Documents used for dose
19 reconstruction.

20 You know, we have indications that
21 bioassays were collected in the early 60's,
22 late 50's. They were collected for a reason.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 We might not know what the reason is, but we
2 have that data available as well. The sets of
3 bioassay data aren't as large as some of the
4 more recent sets, but that doesn't prevent
5 them being used for dose reconstruction.

6 We're not saying that, you know,
7 policies and procedures have to plant work
8 perfect. That's why we're doing dose
9 reconstructions today. We have indications
10 that things worked though. We have
11 indications that, you know, significant events
12 were appropriately observed.

13 Data was collected, and the
14 information that we have available to us we
15 feel is comprehensive in the ability for us to
16 use it for dose reconstruction. In the
17 example for the 1961 cell incident, where
18 there was a plutonium release, that was a big
19 incident obviously, a very big concern.

20 There's actually a radiation
21 safety and decontamination plan, as well as
22 bioassay data for the three individuals who

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 were directly involved, in that the subsequent
2 radiological assistance team members that were
3 involved in basically characterizing the cell
4 area and involved in the decontamination of
5 the cell.

6 There's, you know, we can't take
7 one piece by itself, and that's the bottom
8 line. We have to use multiple sources and
9 consider all sources of input and data, to
10 come up with our approach, and to come up with
11 the most complete picture.

12 MR. FITZGERALD: Well Mark, let me
13 respond, because I think you've said this
14 several times now.

15 MR. ROLFES: Sure.

16 MR. FITZGERALD: I have no
17 problems with a comprehensive approach of
18 doing dose reconstruction. The central
19 question before the Work Group, however, is do
20 we in fact have sufficient information that
21 would support dose reconstruction, in the
22 history of the Pantex plant? So yes, you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 know, I understand where you're coming from on
2 dose reconstruction.

3 But the SEC question is a little
4 different, and I'm concerned that because of
5 the lack of data, you're pointing to and
6 relying upon program assurance, in a way which
7 I think isn't well-founded. That's my message
8 to the Work Group, is I don't think that's
9 going to satisfy the Board's needs, to see if
10 a good argument for dose reconstructability.

11 So I'm going to leave it at that,
12 because we've been back and forth on this. I
13 think, you know, I'm just concerned that, as
14 you say here, "The previous discussion above,
15 related to the demands of the weapons
16 assurance and comprehensive rad protection
17 design, is intended to clearly indicate that
18 any gaps are in the field data, and not in the
19 recorded," and this is the event bioassay
20 data.

21 That's an unequivocal statement,
22 saying that because of the rad protection

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 program and because of weapons assurance, we
2 can state that any gaps would have to be in
3 the field data, and certainly not because they
4 did or did not take bioassay data.

5 So I'm just concerned about these
6 categorical statements, because I think it
7 suggests a position different. When you
8 explain it, it comes out more equivocal,
9 qualified. But these statements don't leave
10 any room for that.

11 Let me finish, though, because I
12 think we're going to be short on time. I
13 didn't realize you were leaving so early. So
14 let me get down to the end. You did spend a
15 good amount of time writing this out, so I
16 want to make sure that we don't miss anything.

17 You know, in the end, there's sort
18 of a philosophical discussion. What you cite
19 here is a legitimate question. I'm just
20 quoting from the March 10th position paper.
21 "A legitimate question can be asked. Now that
22 the experience of the EEOICPA program is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 somewhat mature, how would a responsible,
2 professional design of radiation safety
3 programs today for facilities starting
4 operations similar to that of Pantex?

5 "Would a routine bioassay program
6 be required of all 3,000 people throughout the
7 plant site and on what frequency? Would the
8 program be different on the basis of
9 protection of personnel, as opposed to
10 providing enough data to satisfy all parties
11 from some future compensation program?"

12 It goes on to say "I would like to
13 believe" -- I guess this you and Bryce --
14 "that personnel protection would be served
15 without bioassay, providing you with no
16 evidence of uncontained contaminants in the
17 workplace," and so forth and so on.

18 I guess I would turn those
19 questions around, because I thought about
20 that. It was an interesting thing. I haven't
21 seen this in a SEC discussion before. I would
22 turn those questions around and ask is it not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 the purpose of the SEC process, however, to
2 acknowledge historic circumstances where the
3 design or records of the dosimetry program in
4 fact fall short of supporting dose
5 reconstruction with sufficient accuracy?

6 I mean isn't that what we're
7 really talking about? Not so much, you know,
8 whether we would design it today and, you
9 know, is it not understandable that, you know,
10 they didn't design programs 20, 30 years ago,
11 just to make sure we, in EEOICPA, got the
12 right data.

13 So what? That's why EEOICPA was
14 set up to legislate the way it was, was the
15 understanding that in fact these programs
16 would fall short. You'd find instances where
17 the recordkeeping would be inadequate, the
18 dosimetry program for that. That was the way
19 the program was assigned.

20 The SEC process, I would have to
21 believe, is set up to capture those
22 exceptions, where for whatever reason, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 data doesn't come forward, you know. The
2 design of the program wasn't there, you know.
3 So yes, they certainly did not design it to be
4 captured, and that's why we're here today,
5 trying to debate because it's not there, how
6 do we actually address it. So I guess I don't
7 understand that.

8 And should a -- I guess the last
9 question I have is should a facility's program
10 get a pass, simply because the health
11 physicists sort of get together and agree that
12 while documentation and data is lacking, we
13 all sort of believe that it was a relatively
14 tight program, and you know, deserving of that
15 recognition.

16 I have a concern over that too. I
17 mean it's sort of -- these comments at the end
18 sort of suggest all the HPs got together and
19 looked at Pantex. Yes, it was a tight program
20 sealed components, sealed components, diamond-
21 stamped, and you know, why not let that one
22 go?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 I guess my concern is that no,
2 this is not a gestalt with the HP community,
3 on a sort of professional judgment basis.
4 This is a statutory-based, regulatory based
5 program that looks at the data and allows the
6 data to define whether or not the sufficiency
7 and accuracy is sufficient.

8 That's kind of what we have to
9 judge. So, you know, we can ask these
10 questions and they're useful questions, I
11 think, on the side.

12 But again, like everything else
13 we've talked about this morning, I don't see
14 the relevancy to NIOSH and the Board, to
15 settling the question of, you know, can you
16 estimate doses to depleted uranium over the
17 years in various campaigns, with a sufficient
18 accuracy that would give you an expectation
19 that you can dose reconstruct or not.

20 I just don't see how any of that
21 adds up to that. So I will leave it at that
22 and, you know, I think this could be a forum

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 all by itself, talking about the philosophy
2 of, you know, how one should look at programs
3 and weapons assurance and all that. But we
4 need to, I guess, move on to more specifics.

5 MR. ROLFES: Before we move, I
6 agree with what you said, but we were asked
7 some subjective questions. So we prepared
8 subjective responses. The details of how we
9 have evaluated the Special Exposure Cohort
10 that was proposed to us is in our Evaluation
11 Report, and the information on how we use
12 information from claimants' files, air
13 monitoring data, our bases for intakes, are
14 all documented in our Site Profile.

15 You know, we can disagree on, you
16 know, interpretation of audits, records.
17 We've got to keep focus, though, on you know,
18 interpreting the data. Are there shortcomings
19 in the specific data that would prohibit us or
20 prevent us from being able to bound doses
21 under the Special Exposure Cohort.

22 That's really the focus of, you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 know, what we should be discussing, rather
2 than, you know, our interpretation of these
3 records versus, you know, your interpretation.

4 MR. FITZGERALD: I think we can
5 declare victory. I'm glad you said that.
6 That's kind of what I was driving at, and so
7 you know, yes, we should be focusing on the
8 data and not trying to interpret these program
9 documents, okay. For the record, I think we
10 have agreement on that point.

11 So therefore, these assertions
12 that find their way into all the preceding
13 documents, I would question, for the Board's
14 sake, that I don't think that they should be
15 given much weight.

16 Now just moving on though, in
17 terms of the exposure potential issue for
18 internal emitters, I do want to make sure,
19 with your leaving early, that we at least walk
20 down the data adequacy and completeness. It
21 took a legendary amount of effort, three
22 months. It was finished in January. So I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 apologize that you got it last week. But that
2 was not by want of effort.

3 So you know, what we want to do in
4 a little bit is, I think, Kathy and maybe Ron
5 Buchanan. I think he did the external, just
6 outline where we came from in that document,
7 knowing that you're not going to have much to
8 say at this point. But just making sure that
9 if you have any questions or clarifications,
10 you have that opportunity before you leave.

11 But in terms of the internal
12 emitters, we had this on the agenda, you know,
13 these tactical issues are pretty well laid
14 out. But for uranium, yes. I think this is
15 the central issue. Uranium and possibly
16 thorium are the central issues from our
17 standpoint. They're certainly questions that
18 could be clarified by the others, but I think
19 this is the big stopping point.

20 I think it's clear, and I don't
21 think you disagree, that the depleted uranium
22 figures in a number of systems over the years

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 from the early days, 60's on forward, you have
2 proposed the use of the '89 incident in
3 bioassays. I understand where that came from,
4 but I would question whether you have
5 sufficiently corroborated that it's bounding,
6 and I think this last swing in Germantown, as
7 I alluded to, I didn't get that clear.

8 But there's some data that would
9 suggest -- and I haven't had a chance to go
10 any further than that, but we're going to go
11 down to Pantex -- that would suggest that
12 previous systems may in fact have been
13 dirtier.

14 I think that would be a useful
15 inquiry to pursue between us, because I think
16 again, that backs up our concern and questions
17 about whether the '89 set of your bioassays is
18 going to be bounding.

19 You know, we had the concern
20 before we found this little bit of data,
21 because again, I don't think we've seen
22 anything hard that -- whether it's air

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 sampling or whatever, that just would be the
2 worse, and I'll leave it at that, because I
3 think we've had that discussion.

4 Thorium, I think, there's enough
5 sensitivities that I would not want to have
6 that discussion here. But I think in
7 Germantown, we ought to have a discussion of
8 thorium. And perhaps Kathy, since she's got
9 this clear data complete and she'll be more
10 secure about talking about some of this than I
11 would be, because I don't have that in front
12 of me. I haven't had a chance to go through
13 every detail.

14 Plutonium, I would like to suggest
15 to the Work Group that be taken off the table,
16 because I think, as far as an exposure
17 pathway, I think those components, I think, a
18 couple of incidents as the exception were
19 sealed and not subject to exposure, and it was
20 monitoring.

21 As far as STCs, I would suggest
22 the same, that even though we have some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 concerns over the fusion issues, I think in
2 terms of sealed components. I think likewise,
3 we have no evidence that they were present in
4 anything but sealed components, as far as
5 handling at Pantex.

6 So as far as the listing here, I
7 would say our focus and concern right now is
8 primarily depleted uranium throughout the
9 history, different campaigns, and whether or
10 not the '89 event, as we have said earlier, is
11 bounding. We have issues of thorium, and
12 Kathy may address some of that.

13 But again, I'm a little bit unsure
14 about how far I can go on this. So I'm not
15 going to go into any more detail. But I
16 wanted to scope that out clearly. That's
17 where we're at. Any questions on that? I
18 know I kind of went through that quickly, but
19 I think we kind of beat uranium around already
20 this morning.

21 MR. ROLFES: As far as exposure
22 potentials, I'd agree with you, and I think

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 that's consistent with our Evaluation Report
2 and our Site Profile, you know. We have no
3 indications of any kind of routine plutonium
4 exposure potential. However, just because of
5 claimant-favorability, we have put in
6 plutonium intakes for essentially all
7 operating time periods when plutonium was
8 handled.

9 You know, this is a very claimant
10 favorable thing, which we don't necessary have
11 information to back up, that you know, these
12 intakes occurred. Yet we assign them, just
13 because --

14 MR. FITZGERALD: Yes, and we
15 looked at that, and you know, we couldn't find
16 and we looked. You're familiar with the same
17 incidents, cracks, pits, et cetera, that we
18 are. But beyond that, we couldn't find any
19 evidence of a routine exposure pathway for
20 plutonium or stable tritium compounds.

21 Although as an asterisk, you know,
22 there's always been a diffusion question, but

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 I don't think it's a significant amount that I
2 would raise in this context. Again on
3 uranium, I think it's the bounding issue and
4 the back extrapolation. I wouldn't want to
5 spend a lot more time on that here, because I
6 think we have spent a lot of time on that.

7 But we are looking for something
8 that would corroborate that '89 is bounding,
9 and what has been provided, I think, falls
10 short of that, and what we have found, it may
11 not be much, but it's sort of indicative that
12 '89 may not be bounding, and like I said, as
13 soon as that gets cleared by Germantown, I
14 will send it to you, and the reference that
15 goes along with it.

16 MR. ROLFES: Great, okay.

17 MR. FITZGERALD: Of course that's
18 assuming you get it there.

19 MR. KATZ: Can I just ask a
20 question about the '89 event?

21 MR. FITZGERALD: Yes.

22 MR. KATZ: You haven't seen

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 evidence that would be bounding, and you have
2 found this evidence that you're concerned
3 about --

4 MR. FITZGERALD: Oh, well --

5 MR. KATZ: But what, have you laid
6 out somewhere what evidence you would consider
7 corroborative?

8 MR. FITZGERALD: Yes, and it
9 wasn't clear about Germantown.

10 MR. KATZ: No, on the other side.

11 MR. FITZGERALD: Oh, on the other
12 side. You're saying you haven't seen anything
13 that would be corroborative.

14 (Simultaneous speaking.)

15 MR. FITZGERALD: Yes, and I think
16 we've articulated this before. What we would
17 look for is exactly what Jim laid out in his
18 presentation on exposure potential, you know.

19 Can you in fact point to field data, and of
20 course I think the answer is no.

21 It's either the air data. There's
22 air sample data, but I think whether it's not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 sufficiently representative data or may have,
2 and this is something we have found, that a
3 majority of those air samples, burnt dosimetry
4 air samples, there were alarming samples,
5 which is not particularly usable for our
6 purposes of estimating how much was in the
7 air.

8 But you know, Mark, if there's any
9 way -- you know, we agree there's an exposure
10 potential. I would disagree that it's
11 intermittent or incidental. I think it was
12 actually chronic, associated with those
13 particular systems when they were being
14 disassembled.

15 And you know, you can put
16 different terminology, but that's, you know,
17 that's fairly chronic while the workers are
18 disassembling that system as they go through.

19 So you know, you can pick your word, but I
20 think that's pretty chronic.

21 If we agree that far, then the
22 question is, you know, if there's no bioassay

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 data that's usable, and you've mentioned a few
2 data points, and you know, I think there are
3 some data points. But if there's not enough
4 usable data that's reliable, then you go to
5 the secondary source and say what's usable
6 from the air sampling standpoint.

7 Then you go to is there anything
8 that would be indicative from the smears.
9 That's a little tougher. Then the source
10 characterization, as I recall, is another
11 source of information in terms of trying to
12 characterize this thing.

13 If you go through all that, then I
14 think it becomes more debatable, whether we
15 have a situation where there isn't a good,
16 strong basis for dose reconstruction. We get
17 into that stage where you hear a lot about
18 modeling and, you know, there may be a way to
19 get there, but it's not from the traditional
20 source of the data.

21 So I would like to think there's a
22 way that there's some information beyond the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 '89, that would allow the -- and we're getting
2 down to specific issues now. If you could
3 find an approach that would quantitatively
4 bound your depleted uranium pathways. We
5 agree they're there. We know when they
6 happened. They have the dates of the
7 disassemblies.

8 Then I think you've got a starting
9 point, thinking now okay, what are your
10 secondary sources of data? Is there anything
11 that's reliable and that would be usable,
12 something that would either corroborate, that
13 no matter what we apply, '89 comes out the
14 highest, or suggest that there's another data
15 point, and I would propose this one I found
16 for the 60's, actually appears to be higher.
17 But I don't know. I haven't gone any further
18 with it.

19 Or that there's just no way to
20 tell, in which case I would say we may be in
21 SEC space for the Work Group and the Board, in
22 which case we probably need to focus on that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 question the next time around. I think
2 there's a lot of data gathering and thinking,
3 but that's where I would think this would
4 arrive, you know.

5 We looked at those options, we
6 looked at those approaches, and you know, it's
7 Door No. 1, Door No. 2 or Door No. 3. I'd
8 like to think we can move this discussion
9 forward, rather than being at loggerheads.
10 Because I think we agree, there's an exposure
11 potential. We agree that it's relatively
12 chronic for certain systems.

13 The only question is we don't have
14 bioassays for anything, reliable bioassays for
15 anything but the '89 period, and that's why
16 we're using what we have, and we have enough
17 corroboration that that's bounding. So it
18 seems like we're close but not there, and I
19 just think that we can move it.

20 MR. ROLFES: I wanted to clarify
21 reliable bioassays. We do have reliable
22 bioassays prior to 1989, beginning in 1959.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 The data set that we have is limited to about
2 10, 12 people at the time, though.

3 MR. FITZGERALD: Well, does that
4 make it less reliable for dose reconstruction
5 or SEC purposes?

6 MR. ROLFES: Not at all.

7 MR. FITZGERALD: So how come we're
8 not using it as a part of the proposal?

9 MR. ROLFES: We can. We certainly
10 can. However, the intakes that we currently
11 have are, I believe, more claimant-favorable.
12 Now there might be one time period, because
13 at the laboratory that had completed the
14 analysis, that had a higher level of detection
15 or limit of detection.

16 So if we would use their limit of
17 detection, it would result in higher intakes,
18 I think, than our default. But it wasn't
19 really much that would make a big difference
20 of, you know, significance. We can certainly
21 do that. We can certainly look back into
22 comparing, you know, intakes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 I thought we had previously done
2 that, looked at our intakes from the 1999 data
3 set, in comparison to the earlier intakes,
4 based upon the data.

5 MR. FITZGERALD: Well, I guess I
6 would say on this last phase, as we're sort of
7 getting down to remaining issues, this one
8 seems like the big one to settle.

9 I think what I would offer is what
10 we have identified in Germantown, and maybe we
11 should take another look at some of these
12 secondary pieces of data, and look at some of
13 the sampling from the earlier years, and just
14 see if there's any way to square this thing,
15 you know, for the Work Group the next couple
16 of months.

17 I mean it looks like Pantex, the
18 site trip might be a little while. So there's
19 certainly time to wrestle this thing, and see
20 what we find down there.

21 MS. ROBERTSON-DeMERS: This is
22 Kathy. Can I make a clarification on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 something?

2 MR. KATZ: Yes. Go ahead, Kathy.

3 MS. ROBERTSON-DeMERS: You all are
4 talking about 1989 bioassay data. The
5 situation is that the incident occurred in
6 1989. The bioassay data was actually
7 collected 1990.

8 MR. ROLFES: That's correct.
9 Okay. The other sources of information that
10 we've looked into, we have looked at the alpha
11 air concentrations in the cells and we've
12 provided a brief, three-page summary of the
13 median alpha air concentrations from 1974
14 through 1987. That would be breathing zone
15 samples, they're general area air monitoring
16 results, and there's some uncertainty about
17 worker location versus sampling location.

18 So we have looked at these.
19 There's 4,500 air sample results. We've
20 compared those to the intakes in our TBD. In
21 addition to that --

22 MR. FITZGERALD: Let me stop you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 there though, because this is a great lead-in,
2 and I'm really conscious of your time. So I'm
3 watching the clock.

4 MR. ROLFES: Thank you.

5 MR. FITZGERALD: Well, you know,
6 two o'clock. We've got lunch in there too.
7 Kathy is addressing this data accuracy and
8 completeness, including air sample data. I'd
9 like to just jump in there.

10 You've provided the lead-in to
11 talking about what data do we have, how
12 adequate is it, you know, this representative
13 question that you just mentioned. I'd like to
14 -- can we just jump into that, Kathy?

15 MS. ROBERTSON-DeMERS: Yes.

16 MR. FITZGERALD: Because I really
17 think that that's where we're at, and excuse
18 me for shouting a little bit, but I really
19 want to make sure we have this discussion. I
20 didn't realize this thing was going to end, or
21 not end, but you know, sort of we're going to
22 lose -- Bob, you're leaving at what time?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MEMBER PRESLEY: Two.

2 MR. FITZGERALD: Okay. Two
3 o'clock becomes a milestone.

4 MS. ROBERTSON-DeMERS: And Mark
5 and Bryce, there's some natural breaking
6 points that I'll allow you to ask questions in
7 here, but if you just kind of let me go
8 through this, I'd appreciate it. Okay. We
9 issued a paper on data adequacy and
10 completeness.

11 This was tasked to SC&A during the
12 May 4th, 2010 meeting. The report addresses
13 both internal monitoring and external
14 monitoring. So we usually do separate.
15 However, this time we put it together.

16 In addition to our traditional
17 reviews of looking at the data, we were asked
18 to look at the completeness of the incident
19 database, and whether the incident-driven
20 bioassay program was comprehensive.

21 What we did on the internal side
22 was we selected 42 Pantex claimants for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 evaluation. We developed some selection
2 criteria and I will refer you back to a table
3 in the internal dosimetry TBD, Table 5-2,
4 which lists job titles and descriptions of
5 work for possible occupational intake.

6 What NIOSH has done in that table
7 is they have broken up the Pantex population
8 into three categories. There's Category 1,
9 which they determined had the highest
10 potential for intake. Category 2, which was
11 intermediate, and then there was everybody
12 else who was typically assigned environmental
13 dose only.

14 In our selection of these 42
15 people, we decided that they had to work at
16 some period of time during their Pantex
17 employment in either Category 1 or Category 2.

18 But we also wanted the individual to work at
19 least five years during the SEC period.

20 We required that the people that
21 we selected had a DOE response file from
22 Pantex. What we did was since some assembly

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 workers worked exclusively, say, on the high
2 explosive portion of assembly, we went to
3 their CATI interviews and looked for some
4 determination that they had actually worked
5 with radioactive material.

6 We did end up losing a couple of
7 our original people, to the fact that we
8 believe they just worked with high explosives.

9 The population was employed basically from
10 1951 through the end of the SEC period. When
11 you go and you look at NOCTS, Pantex is kind
12 of unique from other sites, in that they have
13 a DOE response for the claimant, but they also
14 have supplemental documents.

15 These supplemental documents that
16 were pulled were pieces of documentation,
17 pulled from the SRDB, which include monitoring
18 data for that individual. This was something
19 that apparently ORAU did. So if they had, for
20 example, a log of uranium bioassay data with
21 multiple names on a page in the SRDB, they
22 would go. They would pull that page for that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 individual and attach it to the associated
2 claimant, okay.

3 Each of the supplemental
4 documents, in addition to the DOE response
5 file, was evaluated for internal monitoring
6 data. The focus of the review was to look at
7 the available in vitro and in vivo monitoring
8 data. This, opposed to the assigned dose data
9 for internal dose.

10 When we looked at our 42
11 individuals, we found that 39 out of the 42
12 had no in vitro data in their daily response
13 file, and for the remaining three, we found
14 that the bioassay data was incomplete in their
15 DOE response file. We know that because we
16 identified bioassay data from these
17 supplemental files attached to the claimant.

18 Just to kind of give you a feeling
19 for what this effort took, some people had up
20 to 33 files for us to go through, to locate
21 all of the in vivo and in vitro data.

22 MR. ROLFES: So Kathy, thanks. So

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 you can understand what we go through in the
2 dose reconstruction process, then. Basically,
3 what we've done, we noticed that DOE was not
4 providing all information to us in their DOE
5 response files. This is primarily related to
6 pre-1989 bioassay data. The way it was
7 stored, it wasn't necessarily stored with the
8 individual's medical file, for example.

9 So what we did, we captured all of
10 the available bioassay data, brought that
11 back, put it in our Site Research Database,
12 and then had ORAU go through in speedy-like
13 link each individual claimant's exposure data,
14 bioassay data, into their claim file in NOCTS,
15 so that it was available for dose coworkers.

16 So yes. We noticed that there was
17 information that was missing from the DOE
18 response files, and took appropriate actions
19 to ensure that we received that information,
20 so that it wasn't excluded from the dose
21 reconstruction process.

22 MS. ROBERTSON-DeMERS: So that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 kind of gives you kind of a background. Now
2 most -- like I said, most of the in vitro
3 bioassay data came from this supplemental
4 documentation that I'm talking about. With
5 respect to in vivo data, those that were
6 counted, that were involved in the in vivo
7 program, we usually found some evidence of an
8 in vivo count in their DOE response file.

9 Now we looked at, you know,
10 between the 42 claimants, we looked at quite
11 a number of files which I have listed in the
12 back of the report. In some of these, some of
13 the bioassay data, we had a difficult time
14 interpreting the data, and this was as a
15 result of limited or inaccurate personal
16 identifiers.

17 For example, we'd have the right
18 name, but the badge number would be off.
19 Absence of bioassay sampling dates in some
20 cases, and when NIOSH took the individual page
21 out of some of these really long bioassay
22 logs, they failed to bring over the column

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 headers.

2 So we had some difficulty in
3 interpreting some of the supplemental
4 documents from larger files. Those column
5 headers are on the first page of the document;
6 however, they're not carried through on every
7 page.

8 MR. ROLFES: Right, right. You'd
9 have to go back and look at the source
10 document in the Site Research Database, to
11 know what units you're referring to.

12 MS. ROBERTSON-DeMERS: Right.

13 MR. ROLFES: So Kathy, I have a
14 quick question. You said something about the
15 claimants were listed at the end of the
16 report?

17 MS. ROBERTSON-DeMERS: No, the
18 documents.

19 MR. ROLFES: The documents, okay.

20 MS. ROBERTSON-DeMERS: The
21 documents that we looked at.

22 MR. ROLFES: Okay, thanks. Did

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 you provide a list of the claimants who you
2 spoke with, or the files that you analyzed, so
3 that we can take a look at the same pieces of
4 information?

5 MS. ROBERTSON-DeMERS: Yes. Brad
6 put that down as an action item.

7 CHAIRMAN CLAWSON: Okay. So
8 you're going to provide a list of the --

9 MS. ROBERTSON-DeMERS: Of the 42
10 individuals.

11 CHAIRMAN CLAWSON: Okay.

12 MR. ROLFES: Thanks.

13 MS. ROBERTSON-DeMERS: Another
14 difficulty we had was when we went into the
15 DOE file, it appeared that the recording
16 practice, and this is true for both internal
17 and external, and I think Ron will talk some
18 more about this later, for some years, we
19 found that they were recording zero millirem,
20 say for uranium and tritium, when individuals
21 had no supporting bioassay data.

22 So we didn't really feel like we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 could trust zeros for some years. Okay, and
2 I'm going to refer you, if you all have the
3 report in front of you -- it's going to be a
4 little easier for you to follow the discussion
5 if you go to Table 2, starting on page 28.

6 And what you have here is you have
7 a listing of the radionuclides. We've given
8 you the years during which those radionuclides
9 were present at Pantex. We derived these
10 dates from the Pantex Site Profile.

11 Then you have a column where you
12 have years without, okay, addressing without
13 bioassay data for our selected population,
14 which is the 42. We went a little bit further
15 and since we had pulled all of this data, we
16 also included a column years without bioassay
17 data for the Pantex population.

18 Now that's based upon the data
19 that's available on the SRD that we identified
20 as containing bioassay data. Then just as a
21 reminder, we put the method that NIOSH uses to
22 assign unmonitored or missed dose for the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 various radionuclides. This is pulled from
2 the internal TBD. So that might help you, as
3 I go through this.

4 Okay. What I want to do is I want
5 to talk about tritium first. For our selected
6 population, both Category 1 and 2, we had no
7 tritium bioassay for '56 through '71, '73
8 through '82, and '84 through '87. For four of
9 our Category 1 workers, and this gets down to
10 -- the reason I'm telling you this is this
11 gets down to the dose reconstruction approach,
12 which is heavily based upon these categories.

13 But for four of our Category 1
14 workers, in other words, they were Category 1
15 at some time during their employment, they had
16 absolutely no tritium monitoring during their
17 employment at Pantex.

18 MEMBER PRESLEY: Hey Kathy, this
19 is Bob Presley. What year were they employed?

20 MS. ROBERTSON-DeMERS: I don't
21 have it written for every worker, but the
22 range was '51 through '91. Each individual

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 had to work at least five years.

2 MR. ROLFES: And keep in mind, for
3 clarification, this is only out of the
4 population that you selected of 42 workers.
5 This isn't to say that there are no bioassay
6 data during those years, because I know there
7 are bioassay data pretty routinely in the 70's
8 for tritium.

9 MS. ROBERTSON-DeMERS: Well, and
10 let me walk through this, and then I've got a
11 question for you on that. Okay. It's our
12 understanding that Category 2 workers are
13 assigned environmental dose for the period '56
14 through '91.

15 But what we found in our
16 population was that Pantex felt that 88
17 percent of our selected populations who held a
18 Category 2 job, they felt like they needed
19 bioassays. So they gave the bioassays.

20 So in essence, assigning an
21 environmental dose for Category 2 workers may
22 not be adequate, because at least Pantex felt

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 that they were being exposed to tritium. Now
2 the bioassay results were '62 through '72,
3 '83 and '88, were limited to one sample per
4 individual, with a few exceptions to that.

5 Some people had two samples in a
6 year. So they were on an annual frequency,
7 and the routine monthly sampling for tritium
8 was not noted in our population until 1991. I
9 would raise an audit finding by the Amarillo
10 Operations Office for Amarillo Area Office in
11 1982, where they questioned the usefulness of
12 annual tritium bioassays.

13 One of the problems we had with
14 the early tritium data, I'm talking in the
15 60's, was that we noted, when we looked at the
16 bioassay data, that we ran across a situation
17 where the sample result was equal to the
18 background result, which was tap water. Or in
19 some cases, every sample that was analyzed for
20 a given day had the exact same bounding. This
21 struck us as odd.

22 MR. ROLFES: Kathy, while there's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 a break in your --

2 MS. ROBERTSON-DeMERS: I've got
3 one more bullet.

4 MR. HINNEFELD: Just let her talk.

5 MR. ROLFES: Sure.

6 MS. ROBERTSON-DeMERS: Okay. We
7 also struggled with the MDC, which I am
8 assuming was used to develop the triangular
9 distribution for the pre-'83 data, because
10 what we did see in the background sample data
11 was a result of up to 17.5 microcuries per
12 liter. So we definitely had some questions
13 about the adequacy of some of this data, and I
14 have a question for you, Mark, before you get
15 into this.

16 Okay. You say that you have data
17 for the 70's, I'm assuming '73 through '82,
18 because we found some data in '72. However, I
19 have been unable to locate it, and if you have
20 it, you know, we would be happy to look at it.

21

22 You know, I know that there is a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 file out there that states, I think it's
2 called bioassay data from '72 to '82.
3 However, when you look at the data, that
4 bioassay data only covers two years.

5 So I'm not sure where this, where
6 the data in this time period is coming from,
7 although we did find a couple of people who
8 had positive tritium doses in that time
9 period.

10 So some sort of bioassay must
11 exist, and I'm assuming it's a matter of we
12 didn't find it. I'm going to open the floor
13 to you for questions.

14 MR. ROLFES: Okay. To get back to
15 what I wanted to clarify earlier on, you had
16 mentioned the Category 2 workers were not
17 assigned any intakes. They were just assigned
18 environmental doses; is that correct?

19 MS. ROBERTSON-DeMERS: That's what
20 we had pulled out of the TBD.

21 MR. ROLFES: Okay. I wanted to
22 pull up the TBD. If you go to page or Table

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 5-19; it's page 48 of 72 of the internal dose
2 TBD for Pantex, it has, you know, Category 1
3 workers, such as production technicians,
4 quality assurance technicians, radiation
5 safety technicians and
6 assemblers/disassemblers.

7 We've got various time periods and
8 intakes of various radioactive materials,
9 including tritium, uranium, thorium, plutonium
10 and radon. Now for the Category 2 workers,
11 we have information from the same time
12 periods, but are only assigning ten percent of
13 the values of the highest exposed individuals.

14 So we're not assigning environmental levels.

15 It is lower than the Category 1 workers.

16 MS. ROBERTSON-DeMERS: Okay. If
17 you go back, I don't know if you have the TBD
18 in front of you.

19 MR. ROLFES: I do.

20 MS. ROBERTSON-DeMERS: Look at
21 Table 5-19.

22 MR. ROLFES: That's where I'm at.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MS. ROBERTSON-DeMERS: Okay, and
2 there is only an intake assigned for
3 production techs, QAs, RSTs and
4 assemblers/disassemblers, and no other tritium
5 is listed. So you know, it could be, you
6 know, that we made the wrong assumptions.
7 However, it's definitely not listed in that
8 table.

9 MR. ROLFES: But if you go down,
10 this table was numbered. If you go down to
11 line 10, it says Category 2 in Table 5-2 were
12 at some risk of exposure, from 1961 through
13 1993. We are assigning ten percent of the
14 values in Row 2. So --

15 MS. ROBERTSON-DeMERS: Okay.
16 That's a DU or U?

17 MR. ROLFES: For DU, for depleted
18 uranium or uranium.

19 MS. ROBERTSON-DeMERS: Yes, and
20 I'm talking tritium.

21 MR. ROLFES: Okay. For tritium,
22 if you go back, we've got the highest recorded

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 annual doses for any year in a previous table
2 for tritium. Let me see if I can find that
3 table for you.

4 What we do in the dose
5 reconstruction process, if the individual
6 doesn't have tritium bioassay data, typically,
7 we have been using the highest recorded
8 tritium dose for any year when we have data,
9 with the exception of the 1989 incident.

10 The 1989 incident with the tritium
11 release was a different exposure potential
12 altogether. In the dose reconstruction
13 process, we'll either use the individual's own
14 data, or if they don't have data, we have in
15 the past for overestimating dose
16 reconstructions, assigned 123 millirem per
17 year, because that was the highest recorded
18 tritium dose for any year that was monitored.

19 MS. ROBERTSON-DeMERS: Okay.
20 Well, your table in the back is not clear on
21 that.

22 MR. ROLFES: But yes, I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 understand. We are using a slightly more
2 claimant-favorable approach than what's in our
3 TBD. So we can fix that if you'd like.

4 MS. ROBERTSON-DeMERS: Well, I
5 would assume if I were a dose reconstructor
6 that my primary reference would be this table
7 as well.

8 MR. ROLFES: That's correct.

9 MS. ROBERTSON-DeMERS: Now are
10 there any other questions?

11 MR. ROLFES: I don't think I have
12 any questions. I really haven't gotten the
13 opportunity to review your report, and
14 certainly after we've had the opportunity to
15 review the report and look at the data for the
16 42 listed individuals, we'll work to prepare a
17 response. If we have questions at that point,
18 then we'll probably ask them.

19 MS. ROBERTSON-DeMERS: Does anyone
20 else have any questions on tritium?

21 CHAIRMAN CLAWSON: Not at this
22 time.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MS. ROBERTSON-DeMERS: Okay. I'm
2 going to move on to uranium. For our selected
3 populations, we had no bioassay data for 1951
4 through '64, 1966 through '67, 1969 through
5 '75, 1977 through '80, and 1982 through '89.

6 For our population, the peak year
7 of monitoring or the peak years of monitoring
8 were 1990 and '91. That's within the SEC
9 period. We did not look beyond the SEC
10 period.

11 MR. FITZGERALD: Kathy, Mark
12 didn't you mention a '59 data point?

13 MR. ROLFES: Correct.

14 MR. FITZGERALD: I think he talked
15 about it earlier today, some bioassay samples
16 from '59?

17 MS. ROBERTSON-DeMERS: Yes, but
18 not within our population. If you look at the
19 total Pantex population in my table, you'll
20 see that '59 is not there.

21 MR. FITZGERALD: Okay. So that
22 just means you didn't use it in the --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MS. ROBERTSON-DeMERS: That means
2 we didn't find it in our population.

3 MR. FITZGERALD: In your
4 population, okay.

5 MR. ROLFES: Yes. The 40
6 employees didn't, weren't represented among
7 the people that were sampled in the '59 data.

8 MS. ROBERTSON-DeMERS: Okay. Just
9 to let you know, of the four samples that were
10 collected in '65, '68, '76 and '81, three of
11 those samples were collected from Category 2
12 workers, not Category 1.

13 The other thing that we observed
14 was most of the uranium bioassay data
15 collected from '83 through '87 was collected
16 from Firing Site 23 cleanup workers, and not
17 assembly/disassembly workers.

18 MR. ROLFES: Right. There was a
19 much greater potential for exposure at the
20 firing site. That was the contained firing
21 site, and the reason for that, the hydroshots,
22 which were previously done open air, those

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 types of operations were done within a
2 containment area, and basically the same
3 source-term existed. However, it was all
4 enclosed within a confined area.

5 So that would have increased the
6 exposure potential, because it basically would
7 have distributed uranium on a much smaller
8 area or within a much smaller area, and you
9 can see that in the bioassay results, because
10 those bioassay results are some of the more
11 elevated results.

12 MS. ROBERTSON-DeMERS: Okay.
13 Continuing, of the 32 workers that held a
14 Category 1 position during their period of
15 employment, 18 of these workers had no uranium
16 bioassays at all, meaning throughout their
17 employment.

18 Then the last thing I wanted to
19 bring up is -- it's kind of something that's a
20 little confusing to us. As you know, the back
21 extrapolation technique that's going to be
22 applied for depleted uranium is based upon

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 some 300 plus samples that were collected as a
2 result of the B28 incident when these samples
3 were collected in 1990.

4 We looked at the results as they
5 were provided from the Y-12 plant, and those
6 results were recorded in dpm. Then we looked
7 at the results as they were reported by
8 Pantex, and this is in SRDB 82838, and we
9 noted that the same result number was used.

10 So if the individual had .02 dpm
11 for the Y-12 results, .02 was recorded in the
12 log. However, the units were now dpm per
13 milliliter. This was somewhat confusing to
14 us, because in order for them to be identical,
15 that would mean that Y-12 only analyzes one
16 milliliter of the sample.

17 Before this data gets used for
18 back extrapolation, this discrepancy in units
19 has to be addressed, and Mark, I'll let you
20 ask any questions at this point.

21 MR. ROLFES: I have no questions.

22 We'll take a look at the report and prepare a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 response. Without having the data right here
2 in front of me, I haven't had the opportunity
3 to look into the raw results, to go back in
4 response to your report.

5 MS. ROBERTSON-DeMERS: I would
6 also refer you to SRDB 14196.

7 MR. HINNEFELD: Kathy, this is Stu
8 Hinnefeld. You gave a different SRDB number
9 earlier, didn't you?

10 MS. ROBERTSON-DeMERS: Yes. These
11 are the two documents.

12 MR. HINNEFELD: Okay.

13 MS. ROBERTSON-DeMERS: So one of
14 them is the Pantex results, and one of them is
15 a letter from Y-12.

16 MR. HINNEFELD: And the first
17 number you gave?

18 MS. ROBERTSON-DeMERS: 82838.

19 MR. HINNEFELD: Yes, and then
20 14196.

21 MS. ROBERTSON-DeMERS: Right.

22 MR. HINNEFELD: Okay, and the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 units -- I'm sorry. I missed the units from
2 the Y-12 report.

3 MS. ROBERTSON-DeMERS: Y-12
4 reported their units in dpm.

5 MR. HINNEFELD: Just dpm?

6 MS. ROBERTSON-DeMERS: Right.

7 MR. HINNEFELD: Okay, and so, all
8 right. Let's move on to plutonium. For our
9 selected population, the data was available
10 for 1961, 1968, 1981 and 1982. We had one
11 sample for each of those years. So a total of
12 four plutonium samples for the population.
13 Two of these individuals fell into Category 1,
14 and two fell into Category 2.

15 Okay, 30 of my 32 Category 1
16 workers had no plutonium bioassays. So in
17 other words, those four samples were
18 essentially two workers, or actually I take
19 that back. Another interesting thing that we
20 noted was that the plutonium data from '61,
21 '68 and '78, was not a 24 hour sample, but a
22 spot sample.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 This would influence your
2 detection capability for plutonium. Really,
3 that's all we have to say about the
4 plutonium, unless somebody has questions.

5 CHAIRMAN CLAWSON: No.

6 MS. ROBERTSON-DeMERS: No?
7 Thorium is short and sweet. We had no thorium
8 bioassay data for our selected populations. I
9 believe we did find one thorium bioassay
10 sample for the entire Pantex population in
11 1983. One of the things that, I guess when
12 the Delphi Group came in and updated the
13 Pantex dosimetry records, they -- are you
14 still there?

15 CHAIRMAN CLAWSON: Yes.

16 MS. ROBERTSON-DeMERS: Okay. They
17 provided some individuals with like a
18 questionnaire. One of our concerns was well,
19 maybe nobody worked with thorium. So we went
20 back and we looked at those questionnaires
21 where they were available, and sure enough,
22 there were individuals in the population which

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 mentioned thorium and working with it. That's
2 basically what we found with thorium. Any
3 questions?

4 CHAIRMAN CLAWSON: I don't think
5 so at this time, Kathy.

6 MS. ROBERTSON-DeMERS: Okay. Now
7 as I previously said, it's not a routine part
8 of our data accuracy and completeness review,
9 but we were asked to look into incident
10 reports, and whether there was bioassays
11 supporting those incidents.

12 There is a list of incidents in
13 the back of the report that we looked at. It
14 gives you the dates, the description, the
15 incident, where we got the reference to the
16 incident, the type of exposures, some
17 comments, and then the SRDB number, which we
18 referenced for that incident.

19 With Pantex, what we had was a
20 couple of different sources, okay. We had a
21 couple of different lists of incidents. We
22 had what's called the radiation safety

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 incident reports, and that was derived from
2 the Radiation Safety Department at Pantex.

3 Evidently, NIOSH also compiled a
4 list of incidents, or at least they tagged or
5 included an SRBD number associated with
6 various incidents. We also had a list of some
7 incidents in the back of the safety
8 information document. Then finally, there
9 were incidents that were not necessarily
10 listed on any list, but were available in the
11 SRDB.

12 So we went through those
13 incidents, and we looked at them. We
14 identified 62 incidents, SC&A identified, from
15 all sources. We found that 23 of these
16 incidents were really from potential external
17 exposures. 33 were from internal exposures,
18 and one was related to an environmental
19 exposure. We kind of threw, I believe, the
20 environmental exposure in with the internal
21 exposures.

22 If you have the report in front of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 you, I would refer you to Table 1 on page 24,
2 and what we did was we tried to list the
3 number of incidents in five year blocks. You
4 have the number of incidents from the
5 Radiation Safety Incident reports, which is a
6 NIOSH document.

7 Then you have the number of
8 incidents from the SC&A list, and that is
9 pulling from as many incident sources as we
10 can. One thing I would like to point out to
11 you is for the 1991, and actually it should be
12 through '95 time period, you'll see that there
13 were 64 incidents under NIOSH.

14 But we stopped our evaluation at
15 the end of 1991. So the number listed for
16 SC&A is only for 1991. But generally, you
17 will see an increase in incidents over time.
18 There was a peak in 1996 through 2000. A lot
19 of that was due to the fact that they started
20 including wound incidents into their incident
21 reports.

22 So you know, what this says is,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 you know, we probably are in a situation where
2 the definition of incidents has definitely
3 changed over time at Pantex. Let me give you
4 an example of how the definition of an
5 incident has changed. Now we've been talking
6 about the 1989 incident, depleted uranium, and
7 how that 1999, or '89 sorry, '89 incident,
8 resulted in a shutdown of work.

9 It resulted in follow-up in vivo
10 counts. It resulted in these 1990 bioassay
11 data. However, what we haven't talked about
12 was the disassembly of this unit had been
13 going on for a number of years, and the same
14 situation existed before 1989.

15 So the situation went from routine
16 to an incident, even though the conditions
17 were the same. Now I'm just going to try to
18 get down to the bottom line here. We have 15
19 incidents that were identified by SC&A, that
20 were not mentioned on the incident list.

21 While incident-based bioassay data
22 existed, the definition of an incident changed

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 over the period of operations. Operational
2 occurrences, defined as routine in the early
3 years, rose to a level of incident in the late
4 80's and 90's. This resulted in an
5 inconsistent collection of bioassay data for
6 incidents.

7 A review of the bioassay data that
8 was available against the incidents and, you
9 know, there was -- we gave it some level of
10 plus or minus date from the incident. What we
11 found was there were 13 incidents from the
12 period of '60 through '88 that had no
13 corresponding bioassay data.

14 So it is evident that internal
15 dose records may be missing, and that there
16 are gaps in the data, even though they had an
17 incident-based program. So these are true
18 gaps; these are not baseless gaps, as
19 indicated in the NIOSH response.

20 This definitely led us to
21 questioning how effective their incident-based
22 bioassay program was. As far as trigger

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 levels for incidents, we have some definitions
2 of an incident in 1991, but we were unable to
3 come up with a definition of an incident in
4 other periods of time. Does anyone have any
5 questions?

6 CHAIRMAN CLAWSON: It doesn't look
7 like it, Kathy.

8 MS. ROBERTSON-DeMERS: Okay. Now
9 I'm going to go backwards here, and there is a
10 table in the Evaluation Report, Table 6-1,
11 which lists the availability of monitoring
12 data for '72 through 2004.

13 As we put together this report, we
14 noticed that that table didn't always marry up
15 with the available bioassay data, and what
16 happened was we found, say, uranium bioassay
17 data for '72, '76 through '78, '83 through
18 '85, '87 and '89, for the total population, we
19 found plutonium data for '74, '78, '81 and
20 '82, and we found a thorium sample for '83,
21 which was not reflected in this table.

22 This raised some concerns, because

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 this table is based upon the HERS, the DoRMS
2 and the OPTIX information from Pantex. So it
3 indicated that it was incomplete. In
4 addition, we really had some concerns on the
5 way the tritium monitoring was reported in
6 this table.

7 We were absolutely astounded that
8 from '76 through '79, that the number of
9 workers reported as being monitored for
10 tritium really approached the number that were
11 monitored for external dose, nearly
12 equivalent. What we wondered was okay, are
13 these zero doses being used to assume that
14 there's tritium monitoring, and I think I
15 brought this up before.

16 We found zero doses for tritium
17 that did not have bioassay -- there was no
18 bioassay record to indicate to us that the
19 person was even monitored. So there's some
20 concern over that.

21 The biggest problem here is that
22 we're really questioning if this data from

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Table 6-1 comes from HERS and DoRMS, which are
2 the primary databases at Pantex, and I don't
3 think Pantex has actually provided either
4 NIOSH or us with the actual database. They've
5 provided printouts from it.

6 MR. ROLFES: Kathy, what we do
7 have, I've provided to the Work Group Members.

8 It's basically a copy of DoRMS, with
9 approximately half a million external
10 dosimetry results, and I'll have to take a
11 look back to see if the tritium doses were
12 reported in there. I think they were, just
13 because they were reporting whole body doses.

14 But they have the ability to sort
15 the data however you like, and at that time
16 when we requested this information, we had
17 only requested the external dosimetry data, I
18 think.

19 MS. ROBERTSON-DeMERS: Well, one
20 of the -- so in other words, looking at that
21 table, looking at the available bioassay data
22 and it just appears that HERS and DoRMS are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 incomplete or the data is being recorded as
2 zero when people are not monitored, and Table
3 6-1 gives you kind of a sense of confidence,
4 where there may not be.

5 MS. RAY: Can I make a comment?
6 This is Sarah Ray, and I called in late. But
7 all doses were reestimated in 1990. I don't
8 know whether this has any bearing.

9 CHAIRMAN CLAWSON: Sarah, this is
10 Brad. When you say "reestimated," they made -
11 - what do you mean by that, I guess?

12 MS. RAY: I don't have their
13 definition. All I know is it was printed on
14 my dosimetry records, and those are my
15 deceased husband, Michael Duarte. I cannot
16 tell you their definition of what that was.
17 But it does make me question, that the
18 millions of records that have been looked at
19 are not the original records, I would assume.

20 Again, there are a lot of
21 assumptions by everyone. But I have a problem
22 with that, since I do not know what was done.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 I don't have access to that. But I think
2 that is of importance. Are they looking at
3 the original or are they looking at something
4 that has been adjusted, if you will?

5 MS. ROBERTSON-DeMERS: I really
6 think that you need to at least, especially
7 from an internal standpoint, you know, take a
8 zero millirem results as with a grain of salt.

9 Now in some of the years, they would actually
10 say for the radionuclide "NM," which means
11 "not monitored." But in the earlier years, it
12 appears that they would just record zero.

13 MR. ROLFES: Okay. It's not
14 really something that's directly relevant in
15 the dose reconstruction process. I alluded to
16 our dose reconstruction process earlier. For
17 an over-estimating type case, we would assign
18 the highest recorded tritium dose for any
19 year, which was 122 millirem, with the
20 exception of the 1989 incident.

21 So we wouldn't be using a zero
22 tritium dose to show that worker was not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 exposed. We would assume the opposite, that
2 the worker was exposed, if we had no
3 information.

4 MS. RAY: If you had no
5 information, then how can you be sure on any
6 of this, because you're looking at, I would
7 assume, an average. So there is a low, I
8 would maybe guess of zero, and a high of
9 whatever, you know. There's a lot of
10 difference when you take averages. I don't
11 know what statistical method you're using,
12 because none of this has been described in any
13 of your documents.

14 I must admit, I just got back from
15 being out of town for two weeks, and have not
16 had a chance to read everything. But you
17 know, averaging is a totally different thing.

18 So what statistical process are you using?

19 MR. ROLFES: We're actually not
20 using any sort of statistical process for
21 tritium exposures in an over-estimating type
22 dose reconstruction. We're using the absolute

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 highest recorded doses for any year of
2 operational history at a Pantex plant, with
3 the exception of the 1989 incident.

4 So if an individual was not
5 monitored for tritium, but is a Category 1
6 type worker, we would be assigning 122
7 millirem of exposure for each year, unless
8 there's some kind of information that
9 indicates that they weren't exposed at that
10 level.

11 MS. RAY: When did you -- when was
12 the highest dose recorded? I would think that
13 would be important, because exposures in
14 earlier years, because of the differences in
15 practices and technology, and also the
16 differences in the weapons, would have been
17 much higher than anything today. I think
18 everyone would have to agree with me on that.
19 Things are just better today, but in
20 recordkeeping.

21 So if that came from today, or any
22 time after 1991, then it would not be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 representative of early years.

2 MR. ROLFES: Okay. If you could
3 just give me a second, and I'll pull that up
4 out of our Site Profile. The highest maximum
5 recorded individual tritium dose is on page 15
6 of 72 out of our Site Profile for Pantex.
7 That value was recorded in 1981.

8 MS. RAY: And I would still stay
9 that there could be and probably are, you
10 know. That would be 30 years of -- 30 years
11 prior to that it was started. You know,
12 technology had advanced a great deal by 1991
13 or '81, because the QC was developed in '81,
14 and we had the minicomputers and we had many
15 things that were happening at that time.

16 So technology had advanced at that
17 point. So recordkeeping probably had
18 advanced. We've gone from having handwritten
19 records, to being able to capture information
20 on computers. Anyway, that's just the point
21 I want to make, is technology and
22 technological changes greatly affected all of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 this.

2 MR. ROLFES: Sure. I understand
3 your point, and that's something, you know,
4 without -- you know, we understand there may
5 be some shortcomings and differences in
6 technology in the earlier years. You've got
7 to keep in mind also that in the earlier
8 years, there wasn't a lot of tritium on site.

9 Tritium didn't come on site until
10 right around the time that sealed pits were
11 coming into site. You wouldn't really be too
12 concerned about a large tritium exposure in
13 the earlier years, barring some incident. You
14 know, most of the concern for tritium
15 exposures would be during the disassembly time
16 period, which really ramped up in the 70's,
17 80's and 90's.

18 That you can also see, you know,
19 the tie to the increased monitoring and
20 tritium exposures as well. You know, most
21 exposure potential was from --

22 MS. RAY: There was no bioassay

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 recording or processing in the 70's and the
2 80's. It was ill-monitored; it was pee in the
3 tub and put it in the cafeteria. It was done
4 spasmodically at best. So it seems to me that
5 what you're saying, you're contradicting
6 yourself. But anyway, let's get on with
7 something else. Don't let me keep
8 interrupting.

9 MR. ROLFES: Well, thanks for your
10 input, but we do have documentation that shows
11 that the individuals with the highest
12 potential for exposure were monitored, and
13 starting back even in the early 1960's,
14 although the monitoring method had a lower
15 detection sensitivity, or excuse me, a higher
16 detection -- a lower detection sensitivity.
17 The limit of detection for the monitoring
18 method back in the 1960's was a little bit
19 higher than the current technologies that we
20 have.

21 We do have indication, however,
22 that the individuals with the highest

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 potential for exposure were being monitored.
2 So we have --

3 MS. RAY: In most of the worker
4 records that I have seen, and the workers I
5 have helped, it was all of their information
6 came back that, because I've helped them on
7 their claims, it said "no exposure." So there
8 is no bioassay record for you.

9 This was people who had direct
10 hands-on experiences, and even at least one
11 person who was involved in the tritium
12 incident. It still comes back and says that
13 in their dose reconstruction, that you know,
14 there was no exposure, because this person did
15 not, was not in a position to have that
16 exposure.

17 So I think you have to take all of
18 this with a grain of salt, because you weren't
19 there. I was not there. We did not collect
20 the information, and I think that we are
21 imposing today's standards and our own
22 experiences on something that someone else

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 did. I think that is a dangerous thing to be
2 doing at this point. Anyway, but get on.

3 CHAIRMAN CLAWSON: Okay. Well
4 actually, it's getting close to lunch time for
5 us here. So --

6 MR. KATZ: Let me just propose the
7 possibility, which you can knock out of the
8 park if you don't like it. But since Bob's
9 leaving at two and Mark's leaving at two, one
10 possibility is we could just work through,
11 instead of breaking for lunch at this point,
12 and eat a late lunch.

13 MEMBER BEACH: Maybe we could take
14 a short break.

15 MR. KATZ: We'll take a short
16 break. I'll do whatever the group wants to
17 do.

18 CHAIRMAN CLAWSON: Actually, I
19 think it would be better. I didn't understand
20 that we were losing these people this soon.
21 Let's take a ten minute comfort break, and
22 then let's, we'll just work through.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. KATZ: Is ten minutes fine?
2 Is that okay with everyone? Anyone who would
3 have health problems with missing lunch?
4 Okay. So a ten minute break everyone on the
5 phone. Thanks.

6 (Whereupon, the above-entitled
7 matter went off the record at 12:09 p.m. and
8 resumed at 12:21 p.m.)

9 MR. KATZ: This is the Pantex Work
10 Group. We're just reconvening after a short
11 break. Let me just check. Do we have any
12 folks on the line still? Do we have Kathy?

13 MS. ROBERTSON-DeMERS: Yes.

14 MR. KATZ: Great.

15 CHAIRMAN CLAWSON: Okay.

16 MR. KATZ: Where are we?

17 CHAIRMAN CLAWSON: Did you want
18 Kathy to complete here, Joe, or --

19 MR. FITZGERALD: Yes. I think we
20 should at least finish up the outline of the
21 document. Obviously, NIOSH is going to take
22 some time and get comments back, but just to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 outline it.

2 MR. KATZ: Go Kathy.

3 MS. ROBERTSON-DeMERS: I'm going
4 to move on to air sampling data and I believe
5 NIOSH mentioned that they had 40, roughly
6 4,300 pieces of air sampling data. What I did
7 was I took a quick look at some of this air
8 sampling data, and just to kind of give you a
9 little bit of a heads up, some of the smear
10 data is also intertwined in with this air
11 sampling data.

12 Based upon the information, we
13 have some sort of air monitoring data for 1959
14 through 1991, with the exception of 1963, 1988
15 and 1990. If you take a closer look at the
16 data, the available air sampling is limited
17 primarily to Building 1244.

18 So 1 through 6 and 8, to 1242
19 Vault, to the 1226 Vault, to the WR room,
20 which I believe is the Weight Room, to RS,
21 which I believe is Receiving and Shipping, and
22 to the Mechanical Room.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Data for some of these years are
2 available for Firing Site 5, for Building
3 1264, 1260, 1285, 1296, 15-2, 15-6, Area D,
4 Zone 4, the water treatment area and the
5 burning ground, although the coverage is not
6 complete for those areas.

7 The data includes both alpha and
8 beta results. A majority of this data that is
9 referenced by NIOSH, the 4,300 samples, is
10 designated as what NIOSH calls an ER cell
11 error, okay. What that usually is associated
12 with is the RAMS program, or general area air
13 sampling within cells.

14 Some of this data is -- some of
15 the air sampling are -- stations are actually
16 not within the cells or bays, but are down the
17 hall from the cells and bays. Our biggest
18 concern with respect to representativeness of
19 these samples is actually these cell air
20 samples.

21 They are by no means within the
22 breathing zone of the individual. They are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 also not between the individual and the
2 source-term. During our tour, we saw some of
3 the units, and they are on the wall of the
4 cell. The individual may be as far away as 20
5 feet. One thing that I should note is that in
6 the newer facilities, the RadCon organization
7 indicated that after the '89 incident, they
8 implemented what was called "test exhaust,"
9 which would pull dust and tritium that was
10 released from the worker, okay.

11 A very small amount of these 4,300
12 samples are lapel air samples, or even job-
13 specific samples. I just kind of wanted to
14 read to you a couple of audit findings in
15 relation to the air sampling at Pantex. The
16 Albuquerque Operations Office said in 1982,
17 "The air circulation and ventilation in the
18 cells is very poor, thereby decreasing the
19 uniformity of contaminants in the air.

20 "The sensitivity of both the
21 tritium and the alpha monitors would be
22 greatly enhanced if additional sampling points

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 were located in the cell." Now Pantex's
2 response to that finding was "Give us the
3 money and we'll do it, but we don't have the
4 money to add additional sampling points," at
5 least at the time.

6 In the 1989 assessment by the
7 Albuquerque Operations Office, they said that
8 "The system of tritium and plutonium
9 continuous air monitors, the RAMS, described
10 elsewhere in this review, was designed to
11 detect accidental releases of these nuclides,
12 but does not monitor the breathing zone air,
13 nor are filters counted after removal. As a
14 result of this review, air filters are being
15 routinely counted." So routine counting was
16 the result of a 1989 audit.

17 In response to the relative
18 representativeness of air sampling, NIOSH
19 proposed an adjustment factor to the air
20 sampling results, of ten. However, we're not
21 sure what the justification for this
22 particular factor is.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Now I need to back up a minute
2 here. Although NIOSH proposes to use air
3 sampling in only a couple of situations at
4 Pantex, air sampling is being used to validate
5 data that was collected in 1990, and therefore
6 should be held to the same criteria as air
7 sampling that is used to assign both.

8 In addition, we are trying to do a
9 little bit of work, of additional work on this
10 with the burning ground and the firing sites,
11 or let me talk specifically about the burning
12 grounds, which we visited during the tour.
13 The individual giving the tour indicated to us
14 that the air sampling was at the site
15 boundary, probably some hundred yards away.

16 So representativeness of this air
17 sampling data is actually a big issue, and
18 when NIOSH talks about the 4,300 pieces of air
19 sampling data, we're primarily talking about
20 data that where we questioned the
21 representativeness of the sample. We are not
22 questioning the cell air sampling data. But

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 we are questioning the cell air data, because
2 of the positioning of the air samples.

3 In addition, the data does not
4 cover all areas in all buildings. So that's
5 kind of where we stand on air sampling. I
6 don't know if you have any questions or
7 comments.

8 CHAIRMAN CLAWSON: Kathy, I had a
9 question. This is Brad. I was just need a
10 marker. How many of these are -- can you
11 discern between breathing zone and just
12 regular air samples?

13 MS. ROBERTSON-DeMERS: I would
14 defer that question to Mark, but indication is
15 that I would say over 90 percent of them are
16 cell air.

17 MR. ROLFES: I'd agree with that,
18 Kathy. The majority of what we have put
19 together here was analyses of the cell areas
20 primarily, and operational areas indoors, to
21 basically use that information to give us, you
22 know, a quick check, to make sure that -- what

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 we didn't want to find would be a situation
2 where the bioassay data resulted in lower
3 intakes than what the air monitoring data
4 indicated.

5 So what we've done is basically
6 compared intakes based upon the air monitoring
7 data to the dose reconstruction approach that
8 we used in our Site Profile. It turns out --

9 MS. RAY: Can I ask something?
10 What cells were considered, because during
11 the period of our SEC, '51 to '91, the 1244
12 cells were the only ones that were in
13 operation, and that was where the nuclear was
14 mated with the HE. Mechanical was done
15 primarily in 1226 until 1264 was built.

16 But the '44 cells are built so
17 differently. No test exhaust. The air
18 handling unit does everything. The corridors
19 where the radiation monitoring systems were
20 located and they were in, you know, at eye
21 level, which I'm sure all of you all saw when
22 you did the tours.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 But the other cells are quite
2 different in design, as compared to the 1244
3 cell. So if information from later-built
4 cells or new technology, again I say, that was
5 involved in the creation and building of the
6 newer cells, would be quite different than
7 what you would get from 44.

8 MR. ROLFES: Okay. Thanks, Ms.
9 Ray. This is Mark Rolfes. What we have
10 looked at was 1244, Cells 1 through 6, and
11 Cell 8. Our analysis just to look at the
12 data, we looked at 4,500 data points roughly,
13 and the data that we looked at was from 1974
14 through 1987 at the time.

15 It turns out there's some
16 additional data that we didn't have at the
17 time we completed this analysis back in 2008.

18 So we've got contemporary data, data from the
19 time period when the actual operations were
20 taking place in 1244.

21 CHAIRMAN CLAWSON: So you'd say
22 probably ten percent of them were breathing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 zones?

2 MR. ROLFES: In fact, I would
3 probably guess that less of them were
4 breathing zones. The majority of these are
5 gross alpha area air concentrations that we
6 developed. You really didn't see a lot of
7 breathing zone monitoring at Pantex, just
8 because there typically wasn't a lot of
9 respirable material in the air. If you take a
10 look at, you know, some of the more recent
11 breathing zone sampling, lapel sampling data
12 that we've got in claim files, you'll see
13 still --

14 I mean I certainly agree. Things
15 are different today than they used to be, but
16 still I'm not seeing anything. Their most
17 significant concerns really are background
18 radon concentrations within the work areas.
19 That's really what they're routinely
20 detecting, and not detecting too much of
21 occupational-related radioactivity in the air.

22 MS. ROBERTSON-DeMERS: Brad, I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 would refer you to a table in the ER that
2 lists the SRDB numbers for air sampling, by
3 year, and also surveillance data, and I would
4 say you have maybe a handful of lapel air
5 samples.

6 CHAIRMAN CLAWSON: Okay, thank
7 you, Kathy. Go ahead and continue.

8 MS. ROBERTSON-DeMERS: Okay. One
9 of the things that, you know, I tried to get
10 my arms around was the exposure pathway, and I
11 think earlier, I referred you to Table 2,
12 where there bioassay gaps in the population.

13 I would encourage you to take a
14 look at the years that a radionuclide was
15 present and handled at the facility, versus
16 the years where there was no bioassay data,
17 and you will see that there are gaps in the
18 bioassay data.

19 Just real quick in this area,
20 obviously there was an improvement in the
21 radiological control program through time.
22 The 1989 depleted uranium incident and the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 tritium incident raised the level of concern
2 regarding the internal dosimetry program.

3 One thing I want to bring up to
4 you is that during our tour, Scott Wilson,
5 who is a part of the Radiation Safety
6 Department, handed out a table, and this table
7 listed the various programs and the
8 radiological concerns associated with those
9 programs.

10 So we've been talking a lot about
11 the incident in 1989, which resulted in the
12 samples in 1990. However, that was not the
13 only program with issues. With respect to
14 uranium oxidation, they had identified eight
15 programs. They also identified programs where
16 there were issues associated with tritium and
17 thorium.

18 We're going to detail, just a
19 little bit more in a future report, after it
20 goes through classification review. Another
21 thing that you're going to see in our future
22 report is we had originally raised an issue

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 with incidents related to -- well, I think I
2 can say this, to Broken Arrows, and we will
3 have a further discussion on that and the
4 potential for exposure in those situations.

5 We've heard a lot about the
6 increase in disassembly towards the latter
7 part of the SEC period, and I'm going to make
8 a supposition here, and it is if you can refer
9 back to page 14 and 15 of our report, you'll
10 see some figures. If you look at Figure 1 and
11 even Figure 2, which is Category 1 workers,
12 and Figure 3, you'll notice that there was an
13 increase in monitoring right around the mid-
14 60's.

15 My supposition is that there was
16 increased disassembly operations going on
17 during that period of time. In addition to
18 that, there is -- there were both destructive
19 and non-destructive testing of units within
20 the stockpile, or surveillance units.

21 There were modifications to units.

22 There were retrofits, and there were also

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 joint test assembly testing, post-mortem
2 evaluation of JTA, and you have to kind of
3 take that also into consideration.

4 Also, another way to think about
5 this is while the number of disassemblies may
6 be very high now, compared to back then, there
7 are new rules that have been implemented that
8 restrict, within a particular cell, how much
9 activity can go on in that cell.
10 Historically, that was not the case.

11 So within a given cell or bay, if
12 you compare that through time, historically
13 the source-term would be greater. So I would
14 kind of offer that up as food for thought.

15 MR. ROLFES: Maybe you could
16 detail a little bit more on what source-term
17 you're referring to. Are you referring to
18 uranium, tritium, you know, everything in
19 general? Plutonium?

20 MS. ROBERTSON-DeMERS: I would be
21 referring to any source-term which causes
22 either internal or external exposure.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. ROLFES: So across the board,
2 the source-term was larger during the earlier
3 years?

4 MS. ROBERTSON-DeMERS: Within a
5 given cell or bay. Understand that.

6 MR. ROLFES: Okay, I got you.

7 MS. RAY: And this was because the
8 limits were changed drastically in the 90's.
9 Prior to say like 1991 or even 1990, multiple
10 units and even different programs could be in
11 a bay or cell, waiting to be worked on,
12 whatever the process was. There could be
13 eight, nine, ten full-up weapons in an area,
14 waiting to be disassembled. That is not the
15 case now. The limits are quite different.

16 MR. ROLFES: Thank you.

17 MS. ROBERTSON-DeMERS: I don't
18 think I will browbeat the comprehensiveness of
19 the radiation safety program. But I would
20 like to bring up one item, and that is you do
21 have -- you've taken a position as NIOSH, and
22 you do have conflicting audits.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 But in addition to those
2 conflicting audits, you have worker input
3 that's telling you "I walked out of the bay
4 blowing black powder out of my nose. I wasn't
5 doing egress monitoring," et cetera.

6 And by the way, our interviews are
7 in review, and will be released to the Working
8 Group as soon as we can, so you can see the
9 full extent of the comments. But I think that
10 there needs to be some resolution of all these
11 discrepant comments coming in, your position
12 versus all the audit findings, versus what the
13 workers are telling you with respect to
14 contamination control, air sampling and
15 implementation of the radiation safety
16 program.

17 You can't have one technician even
18 for a short period of time, I think he
19 indicated a couple of years where he was the
20 only technician in the field. He is not
21 physically able to control everything that is
22 going on in the field, to do his routines, to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 check his instruments, to cover jobs, to count
2 air samples and smears, et cetera.

3 And even with 3, which was stated
4 also by this RadCon person, it's still a
5 challenge. Pantex is a huge plant, and
6 there's a lot of operations to cover. So I
7 think there needs to be some resolution
8 between all of these different aspects.

9 MR. ROLFES: Yes. The concern
10 about, you know, black powder encountered
11 during disassemblies, we actually did look
12 into this, and I have a quick question for
13 you. Is all black powder radioactive?

14 MS. ROBERTSON-DeMERS: You know,
15 that was my question. I have my suspicion
16 there is another possibility, which I can't
17 discuss on the phone.

18 MR. ROLFES: Okay. Well, in turns
19 out there's some analyses from the 1989
20 incident and other incidents, that showed that
21 a lot of the contaminants, there's other
22 materials and other metals that oxidize, that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 aren't radioactive. These are some of the
2 responses.

3 You know, in some of these
4 instances, there have been occurrences where
5 there's grease, uranium, other heavy metals
6 that have oxidized. So yes, the workers do
7 have an accurate depiction of what occurred.
8 However, not all of the materials to which
9 they were exposed necessarily were
10 radioactive. So there's, you know, you've got
11 to make sure that you look at, you know,
12 things in context and look at the analyses
13 that are done.

14 I'm not saying that analyses are
15 always done, but you know, we've got to make
16 sure that we look at all sources of
17 information, including worker input, as well
18 as the scientific information and analyses of
19 the materials to which the worker could have
20 been exposed.

21 Now we only limit, under this
22 program, our analyses to the radioisotopes to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 which the workers were exposed, not
2 necessarily other chemical agents.

3 MS. ROBERTSON-DeMERS: Well, I
4 have two follow-up comments. First, it would
5 be very helpful if you would give us the SRDB
6 number for that analysis.

7 MR. ROLFES: Sure.

8 MS. ROBERTSON-DeMERS: And second,
9 you know, with respect to worker comments,
10 it's not me you need to be communicating with,
11 but to the workers.

12 MR. ROLFES: Right. This is
13 actually something that we've heard several
14 times. I've been going down to the site for
15 probably about five or six years, and I know
16 that we've spoken with the Metal Trades
17 Council employees on a number of events about
18 this.

19 They're actually, you know, they
20 were the reason we had revised the Site
21 Profile back in 2007, I believe or 2008. I
22 have to take a look back at the date. But it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 was actually their input that led to some
2 changes in our Site Profile. So their input
3 wasn't ignored, and was actually used to
4 update our Site Profile.

5 MS. ROBERTSON-DeMERS: I have one
6 more thing that we were asked to look into. I
7 don't have very much information on it. When
8 we conducted our original Site Profile
9 interviews, there was mention that a previous
10 RadCon manager had destroyed field records.

11 And unfortunately, this
12 interviewee did not review his interview. So
13 you'll have to take that with a grain of salt.

14 He did mean the former RadCon manager, and
15 unfortunately this RadCon manager is deceased.

16 So we could not go to him and ask him
17 directly what was going on.

18 There was another indication that
19 an individual, I guess this was from the
20 Worker Outreach meeting of January 29th, an
21 individual indicated a former Pantex worker
22 stood and watched as the Safety Division

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 manager destroyed accident reports.

2 I think the bottom line here is
3 that we need to investigate this further.
4 I've pretty much given you what we, the
5 information that we have to this point.

6 MR. ROLFES: Yes. I've heard many
7 of these same things as well, and
8 unfortunately, I've looked into this, but
9 haven't found any way to determine whether or
10 not, you know, this could be corroborated.
11 You know, I'm not saying that records weren't
12 destroyed, because we know many were. You
13 know, and we may not have found all of the
14 records that were created in the first place.

15 So yes, without additional
16 details, the individuals that had provided
17 details to us previously didn't really provide
18 us enough information that would allow us to
19 tie it to a specific report or, you know, we'd
20 be looking for a needle in a haystack without
21 any kind of details as to what was destroyed,
22 and whether it was something that was needed

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 for dose reconstruction.

2 MS. ROBERTSON-DeMERS: Okay. Just
3 one more thing, and then I'm going to turn it
4 over to Ron. There are several attachments to
5 this report. Attachment 1 gives you the
6 documents referenced for bioassay data. I
7 talked about the figures up front. Attachment
8 2 provides the data which went into those
9 figures.

10 Attachment 3, as I previously
11 mentioned, are the radiological incidents
12 which we compiled from various sources, and I
13 just wanted to let you know that, and I will
14 let Ron have the floor.

15 DR. BUCHANAN: Okay, I'm here.
16 This is Ron Buchanan with SC&A, and I believe
17 that I'm going to cover the external dosimetry
18 data, accuracy and completeness, and I assume,
19 since Kathy's been referring to the report,
20 that you have our report that was recently
21 issued.

22 The external is not quite as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 involved as Kathy's internal, and so I'll
2 cover that here on page 36 of the report you
3 received. First of all, I'd like to rephrase
4 or inform everybody of how the records, I
5 found the records were kept, and then I'll
6 talk a little bit about whether I found
7 accuracy problems or adequacy problems.

8 So on page 36, you see there we
9 have, refer to four forms. At Pantex,
10 fortunately the external dose has been kept
11 pretty simple on the record side. In Exhibit
12 A there, I'll just cover the form and go into
13 a little more detail. In 1960 to 1976, about
14 mid of 1976, they used a handwritten form or a
15 stamped form. In '76 through '89, they used
16 the first computer-generated record. Then
17 another type in '98, and then a fourth type in
18 1999 to present.

19 So they had, the first one was
20 handwritten and the other three were computer
21 forms. Now I cannot, I don't believe that
22 they ever propagated the data forward. In

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 other words, the records that the dose
2 reconstructor used are either handwritten, as
3 shown in A, B as computer-generated in B, C
4 and D, and these are independent forms.

5 Except that the B, 1976 to 1989,
6 went back and brought all of the handwritten
7 form information data forward to those forms.

8 So B actually contains A and B information,
9 and of course, that was the only one I could
10 really check for whether it was accurate or
11 not, because the others were stand-alone
12 computer forms, and there was no consolidated
13 computer system that put all four of those
14 forms in together.

15 We see that in Exhibit A there, it
16 shows that handwritten with dashes, positive
17 numbers or zeros. B was computer-generated
18 with dashes, zeros and positive numbers and
19 the same way with C and D. So of course,
20 looking into the accuracy of data is somewhat
21 of a long process, because to verify every one
22 of them would be prohibitive.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 So what I wanted to do was go and
2 look at some cases, and just see if there
3 appeared to be a problem. So on the next page
4 there, I outlined the fact that I took, had 24
5 cases, which we'll talk about in more detail
6 later.

7 But I took three of those cases
8 that contained a number of years of
9 handwritten data, from 1960 to 1976. I looked
10 up four, and the fourth one didn't contain a
11 lot of data, so I concentrated on the three
12 that did. Of those three cases, I compared
13 about 2,000 positive dose values, blanks,
14 dashes and zeroes, to see if those carried
15 forward correctly into the computerized system
16 as shown in B there, the 1976 to 1989, or how
17 accurate the handwritten one or readable they
18 were.

19 In this case, the dose
20 reconstructor receives, I went back and looked
21 at some of the claims, the dose reconstructor
22 receives all of these forms, if they're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 applicable to that employee. So anything that
2 is, that's on the handwritten form and carried
3 to the computer, first computer form, is
4 available in front of him there to look at and
5 compare them.

6 But I went and compared. The
7 positive entries I compared for these three
8 claims had quite a few entries in them, and I
9 did not find any errors in carrying them
10 forward. In fact, when they transposed it
11 from the handwritten form to the computer
12 form, they actually caught a couple of
13 mistakes in math and numbers, and corrected
14 those when they put them in the computer,
15 first computer database.

16 In addition to this, the vendor
17 came back and did a few corrections, and those
18 were correctly entered and carried forward
19 into the computer database. So I did not find
20 any problems with this very limited sampling
21 of positive dose entries from these two
22 databases, and like I say, C and D, I couldn't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 verify the accuracy because these were the
2 initial database entries, and so there was no
3 handwritten records to compare them with.

4 Now the other aspects is blanks,
5 dashes and zeroes, and you might say well, why
6 is that important? Well, it is when you start
7 figuring missed dose and/or decide whether to
8 assign coworker dose, because if you have a
9 form and it has blanks in it, that means a
10 different thing to a dose reconstructor than
11 if you have a form that has zeroes or dashes
12 in it.

13 So I wanted to compare the dose
14 entries as well, and on page 30, I guess it
15 would probably be about 38 years, it talks
16 about the blank entries. We find that
17 generally, they were accurately transposed
18 from the handwritten to the computer base. We
19 did find that occasionally a zero would be
20 entered when there was a blank or a dash in
21 the original database.

22 We found that sometimes, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 quarterly and monthly would have a zero
2 instead of a blank, and we found that the
3 internal risk and extremity entries, which
4 sometimes have zeroes or most of the time
5 would have zeroes in the computer base,
6 whereas the original handwritten would not
7 have zeroes in them; maybe either a blank or
8 maybe a dash.

9 And I found that in some of the
10 originals, the techs there -- and I should
11 make a clarification, is that some of the
12 original did not always have the extremity
13 column in them. They didn't always have the
14 heading with extremities labeled on them. And
15 yet in the computer database, they would list
16 it as zero or a dash under extremities. So
17 that's a minor thing, but it did occur.

18 So you can compare them by looking
19 at the different columns, as I've outlined
20 there. But in general, we found that the
21 positive values that been entered correctly;
22 however, the zeroes sometimes were entered

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 when there was only blanks or dashes in the
2 original, and that's important, because what
3 it essentially would lead to would be an over-
4 assigning of missed dose, in a regular dose
5 reconstruction situation.

6 But it also could lead, if the
7 person wasn't monitored and should have been
8 assigned coworker dose, they could have been -
9 - the dose reconstructor could look at it and
10 think that the was monitored and got zero and
11 assigned missed instead of coworker.

12 However, the original data sheets
13 supplied, the handwritten ones, so the dose
14 reconstructor can go back and see that if a
15 person was monitored or wasn't monitored
16 during a certain period. However, and so
17 because there is no data it is there.

18 Now the exception to the accuracy,
19 there wasn't a problem going from the
20 handwritten to the database or any of the
21 databases that I can see. I looked over all
22 24 cases. I couldn't do every entry in every

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 case, especially when I found that there was a
2 fairly accurate, but it did look consistent.

3 So I did find, though, that in
4 Exhibit E there, it shows that in September of
5 '74, and tracking this to ground, the best I
6 can find is that for some reason, Pantex had a
7 special neutron monitoring program in
8 September of 1974, and they sent the badges to
9 Rocky Flats plant for development and reading.

10 Then they got them back, and they
11 had a sheet, a data sheet in the research
12 database that I pulled out there, which I give
13 reference to in this paper, and it appears
14 that 46 workers were specially monitored for
15 neutrons this one period. Rocky Flats sent
16 the information back.

17 So I tried to find if this was
18 entered into the worker's files, and I found
19 that in one employee, I looked at the ones we
20 had the claims on, of course. That's the only
21 one I could review, and I looked at the
22 information, to see if it was in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 employee's database and available for dose
2 reconstruction.

3 I found one that there was, the 50
4 millirem was recorded and used in dose
5 reconstruction. One had 40 entered instead of
6 the 20 as reported by Rocky Flats. I don't
7 know if they had another 20 from their reading
8 or what, but the total was 40. And I found
9 that five employees that had filed claims that
10 had zero, 10, 20, 30 and 80 millirems of
11 neutron dose, it did not reflect in their file
12 sheets, in their files.

13 So that dose would not be
14 assigned. Of course, the zero wasn't
15 important. The 10 and 20 wouldn't be, because
16 that would be around half the limits of
17 detection, and they'd be assigned missed dose,
18 which would be the same. Now the 80 would be
19 the only one that would be assigned slightly
20 lower dose, using one-half the lower limits of
21 detection.

22 So I looked elsewhere for this,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 any information on this, and if there's any
2 other instance of this, and did not locate it.

3 This seemed to be an isolated use of it. So
4 that brought us to the fact that the accuracy
5 looked, other than this special neutron
6 monitoring, the accuracy looked reasonable on
7 this database.

8 But then that brings us to
9 complete this, was there adequate data? Was
10 it all there? Well, of course, there's no way
11 we can really know whether it's all there or
12 not, unless they was monitored 100 percent of
13 the time every year. So, and we know that's
14 not true at most sites.

15 So what I did was look at to see
16 if the ones that we expected to be monitored;
17 in other words, people that would have jobs
18 with a potential irradiation, external doses,
19 were they monitored, what percent of the time
20 and in what years?

21 So I took 24 cases and looked at
22 them, and they had titles which included

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 things such as operators, inspectors,
2 assemblers and stuff, and expect they probably
3 should have been monitored. Now if they --
4 some of them worked different periods, and
5 some of them would work like a clerk or auto
6 garage. I would remove that period, because I
7 wouldn't expect them to be monitored during
8 that period.

9 So I looked at the time that they
10 had job titles, that indicate they should have
11 been monitored for external radiation. I did
12 it two ways. I looked at the individual cases
13 and what percent each worker was monitored, as
14 shown in Figure 4 there, in the individual
15 case results of the 24 workers, and we see we
16 go from A to X there, 24 workers.

17 As you can see, the percent of
18 monitoring increased as you go to the right
19 somewhat. So that means in later years, that
20 was their hire years, in the order that they
21 was hired, from '52 to '79.

22 We see that the D and E there,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 case were production operators. You know,
2 they worked a very short time, but there was
3 no dosimetry records and I can't explain why.

4 They just didn't have any. That was probably
5 the two, that there was a question on
6 completeness there.

7 Now to really get a better handle
8 on that, I wanted look at eclectic monitoring.

9 So I looked at how many years worked in each
10 year, from '52 to '04, and how many were
11 monitored during those years. So more on
12 eclectic basis, and that's shown in Figure 5.

13 This really tells us the most
14 information. If you go to the left there, you
15 see the red bars indicate that number of years
16 worked, and the blue bars, the number of years
17 monitored collectively for that year. You can
18 see, and this goes, again in the hire date was
19 '52 to '79. So we had a pretty good span,
20 especially in the early years, to determine
21 the monitoring frequency.

22 You can see there that the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 monitoring, there was no data up to about
2 1960, although there was years worked, and
3 then you see '60 to about '79, there was an
4 increase in monitoring, and it really wasn't
5 until '79 or '80 that we got fairly good
6 monitoring going. In other words, the blue
7 bars about cover up the red bars, and so that
8 would indicate a large percent of monitoring.

9 So that's essentially what we did
10 for the completeness of this database. Now
11 there was three. Whenever I do these, I'd
12 like to look at some that I wouldn't expect
13 that declined to be monitored, just to show
14 that we did cover both bases.

15 So we looked, I looked at three
16 security guards, and I'm not saying they
17 shouldn't have been monitored. I'm saying
18 generally, they weren't back in those periods,
19 and sure enough, the three security guards
20 that were hired during the earlier years did
21 not have any external data in their records.
22 This shows that they weren't monitored.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Now if you look at the dose
2 reconstruction on the guards, you'll see that
3 they were assigned environmental doses, and
4 that's generally for people that weren't
5 monitored.

6 MR. KATZ: Ron, are you still
7 there? Kathy, are you still there?

8 MS. ROBERTSON-DeMERS: Yes, I'm
9 here.

10 MR. KATZ: Okay. I think Ron
11 probably doesn't know he cut himself off. Do
12 you have a number for him, Kathy?

13 MS. ROBERTSON-DeMERS: Yes.

14 MR. KATZ: Thanks. I've gone on
15 at length sometimes, not knowing I was cut
16 off.

17 CHAIRMAN CLAWSON: I think we all
18 have.

19 MS. ROBERTSON-DeMERS: He'll be
20 back momentarily.

21 MR. KATZ: Thanks, Kathy.

22 DR. BUCHANAN: Okay. I think I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 lost connection. Am I back on?

2 MR. KATZ: You're back on.

3 Thanks, Ron.

4 DR. BUCHANAN: Kathy says I
5 dropped out on the security guards. Okay, so
6 I'll start there.

7 MR. KATZ: Yes, thanks.

8 MR. ROLFES: Ron? This is Mark
9 Rolfes. Before you carry on, I wanted to ask
10 a quick clarification about the cases D and E.

11 You had mentioned production
12 operator as the job titles for those two
13 cases, and it looks like they were, they
14 started working in the earlier time period.

15 DR. BUCHANAN: Yes.

16 MR. ROLFES: Did you see any
17 details, whether or not they might have been
18 involved in production of high explosive
19 components rather than weapon components? I
20 mean a lot of the early work in the early 50's
21 was related to high explosive materials
22 production.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MS. RAY: Those job titles were
2 engineering technicians. That was generally
3 their job titles to ones that worked with the
4 HE. So they were never called assembler
5 operators.

6 MR. ROLFES: Right. That's what
7 I'm asking. So would a production operator
8 from the 1950's be someone who worked with,
9 you know, full weapon builds assembly, or
10 would they be related to high explosives
11 production?

12 MS. RAY: High explosive
13 production operators would have been
14 engineering technicians.

15 MR. ROLFES: Okay, okay.

16 MS. RAY: They would never have
17 been called assembler operators.

18 MR. ROLFES: No. This is
19 production operator.

20 MS. RAY: And I think that that is
21 a combination of the current term "production
22 technician," plus operator and assemblers. I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 have copies of all of the job descriptions,
2 and they have always -- the people who
3 directly handled the HE, the high explosives,
4 were always called engineering technicians.

5 MR. ROLFES: Okay. All right,
6 thank you. Ron, does that -- was there any
7 other indications that the individuals had
8 worked with radioactive material, or were
9 there statements that they didn't in their
10 interviews, for example?

11 DR. BUCHANAN: I don't know. I'd
12 have to go back. It's been quite a while
13 since I did that. So I'd have to go back.

14 MR. ROLFES: Okay.

15 DR. BUCHANAN: I can send you
16 those two case numbers.

17 MR. ROLFES: I was going to say
18 maybe, since we're talking about 24 cases,
19 maybe if you could identify all 24 for us as
20 well.

21 DR. BUCHANAN: Okay, yes. No
22 problem. I can send that to you, and I'd have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealgross.com

1 to go back and look at D and E, to see -- I
2 remember the job titles "production operator."

3 But I didn't go into any details further on
4 what they might have been doing at that time.

5 MS. RAY: Can I ask one other
6 question? My observation, after reviewing two
7 or three handwritten dose records, was that
8 often, names were missing, as were badge
9 numbers. Did the 24 cases that you looked at
10 on the handwritten documentation, did they all
11 contain the person's name and badge number?

12 DR. BUCHANAN: Let's see. They
13 all contained --

14 MS. RAY: It's probably a small
15 thing.

16 DR. BUCHANAN: Yes. I did see in
17 the scripts the names. I'd have to check the
18 badge numbers. But they all had names on the
19 handwritten ones that I looked at.

20 MS. RAY: Okay, because I have
21 seen them where they basically have nothing.

22 DR. BUCHANAN: Yes, I didn't run -

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 - in the sampling I did, I didn't run into
2 any that did not have names on them. Like I
3 said, I didn't particularly look for badge
4 numbers, but they always had names.

5 MS. RAY: Okay.

6 DR. BUCHANAN: Okay. So that
7 brings us to the security guards, and like I
8 said, I guess that's where it dropped out, was
9 that I'd like to look and see for some
10 categories that I wouldn't have expected at
11 the time to perhaps been badged. However, I'm
12 not saying they shouldn't have been badged by
13 our present standard. I'm saying that
14 sometimes they weren't in the past, and look
15 and see if that is true.

16 So I looked at three files claims
17 for security guards, and did not find any
18 external monitoring data for the three
19 security guards that I looked at. They were
20 assigned environmental dose, and this perhaps
21 would not be appropriate if they stationed
22 inside with the workers, as opposed to being

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 outside at a guard gate or something.

2 So that was consistent with the
3 fact that they weren't monitored back in those
4 periods, and some of these started in the
5 early 50's.

6 MR. ROLFES: Ron, this is Mark
7 again. In your report here, it says "NIOSH
8 assigned environmental for coworker doses to
9 these security guards in the dose
10 reconstruction final report." So I wanted to
11 clarify that, you know, if we have indication
12 that an individual was around radioactive
13 materials routinely, then we would probably
14 assign the coworker doses, if there was some
15 uncertainty.

16 MS. RAY: Do you have any way of
17 knowing whether these three security guards
18 accompanied, or some of the ones who
19 accompanied the shipments, the receipts? I
20 heard many of the older guards talking about
21 back in the time when materials were flown,
22 standing around an air shipment at the air

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 base in early years?

2 Obviously, they would have to
3 accompany anything that was received or sent
4 out from the plant.

5 MR. ROLFES: Mrs. Ray, this is
6 Mark Rolfes. Regarding those exposure
7 incidents and concerns, those are actually
8 offsite of the Pantex plant. So
9 unfortunately, those are not included in our
10 dose reconstructions.

11 MS. RAY: What about, you know,
12 the guards when they -- obviously, you know,
13 there were time receipts. Guards are always
14 present when something is coming in or going
15 out. So was there -- did you consider that
16 fact, the ones who would have been stationed
17 with the items that were going out or being
18 received at a loading dock?

19 MR. ROLFES: Yes, and that's
20 something we've heard as well, and that is
21 something that we do consider during the dose
22 reconstruction process.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MS. RAY: And what consideration
2 would you give the ones, since it is an
3 offsite type of situation? Do you assign
4 anything on that, because even though it was
5 offsite, they still could have the potential
6 of being exposed to radioactive materials.
7 Shouldn't that have been considered?

8 MR. ROLFES: I understand.

9 MS. RAY: It was part of their job
10 duties as security guards at Pantex.

11 MR. ROLFES: I understand.
12 However, our legal department has basically
13 advised us that since that is not a covered
14 facility, that that dose cannot be included,
15 even though it was related to their duties.

16 MR. HINNEFELD: This is Stu
17 Hinnefeld. I'm the director of the office,
18 and that is the -- it's an artifact of the
19 construction of law. The law says we are to
20 reconstruct the doses received at the sites,
21 the covered facilities.

22 MS. RAY: Okay, thank you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 CHAIRMAN CLAWSON: But Sarah on
2 your comment, and this came out in our tour,
3 whenever an safe, secure transport came in,
4 the guards were responsible to get up and
5 check the seals on each one of these
6 containers. This was one of the questions
7 that they had brought up. So it's something
8 that we have been looking into.

9 MS. RAY: Okay, thank you, because
10 I think it is important.

11 CHAIRMAN CLAWSON: All right.

12 DR. BUCHANAN: Okay.

13 MR. KATZ: Okay, Ron.

14 DR. BUCHANAN: So just in summary,
15 we've seen that the limited sampling here
16 showed that the -- there was no external
17 monitoring data available in '52 to '59. '60
18 to '62, there's insufficient external
19 monitoring.

20 Only 16 percent of the year's work
21 was monitored. '63 to '78, there was
22 increased monitoring, with an average of 72

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 percent of the year's work monitored, and '79
2 to 2004, a substantial increase, consistent
3 monitoring of around 90 percent of the year's
4 work were monitored.

5 This was what we found for
6 external, in the external dose records. Any
7 questions?

8 CHAIRMAN CLAWSON: It doesn't look
9 like it, this time Ron.

10 DR. BUCHANAN: Okay.

11 MR. FITZGERALD: Ron, can you
12 stick in for a little bit longer?

13 DR. BUCHANAN: Okay, yes.

14 MR. FITZGERALD: We might get into
15 the neutron topic, and I know you were
16 involved in that. So that would be helpful.

17 DR. BUCHANAN: Okay.

18 MR. FITZGERALD: Okay. Again,
19 given the clearance issues, we didn't get that
20 until just lately. So we recognize that that
21 will be something you'll respond to later on.

22 But it probably be useful just to outline

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 what's in there. Going back to the agenda.

2 CHAIRMAN CLAWSON: Where are we
3 at?

4 MR. FITZGERALD: I think we're on
5 number three, actually going back to, and
6 we're actually making pretty good headway. I
7 think I skipped ones to move things along.

8 But you know, we're on the neutron
9 dose issue, and Ron was involved with the
10 piece we sent you on December 27th, which kind
11 of responded to the issue of supplanting the
12 neutron/proton ratio approach that we had some
13 issues with. I think you actually some issues
14 with too, and you proposed the MCNP-based
15 coworker approach, which is something that was
16 first proposed at Mound.

17 So a lot of what Ron's piece was
18 in December was simply to comment on where we
19 stood basically, now with this new proposal on
20 the table essentially. You know, I have to
21 confess. I don't think we've seen a response
22 on that, but I may be wrong.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. ROLFES: Correct. Actually,
2 if you recall, we had the Germantown trip
3 visit scheduled, and that was when the looming
4 government shutdown basically forced us to
5 cancel our flights at the time.

6 So we weren't be to get our
7 project external dosimetry technical lead up
8 to D.C. to review some of the records that we
9 felt might be responsive to some of the issues
10 SC&A had identified.

11 MR. FITZGERALD: Okay.

12 MR. ROLFES: We have had the
13 opportunity to get his eyes on some of the
14 records. However, not a complete set of
15 records yet. So --

16 MR. FITZGERALD: I just got an
17 email from him, by the way, saying that my
18 notes for the day had just been cleared. So
19 that helps a lot, but he also had a long queue
20 with everything else that we're looking at.
21 So apparently there's a lot there right now.

22 MR. ROLFES: Okay, from --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. FITZGERALD: From ORAU, NIOSH
2 and from SC&A.

3 MR. ROLFES: Oh, you got a note.

4 MR. FITZGERALD: Yes. He just
5 emailed me back, because I was pressing him
6 for notes for this meeting, and he just
7 cleared them today, almost.

8 MR. ROLFES: Okay. Almost. Okay.

9 But yes anyway, we wanted to make sure before
10 we issued our response, that you know, he's
11 had the opportunity to see, you know, some of
12 the earlier reports that he hadn't previously
13 seen back in, you know, early on in the time
14 period when the TBD was developed.

15 But let's see. I believe we had
16 hoped to get something completed by right
17 around this time period.

18 We're working on finalizing a
19 response, and I think we're probably going to
20 use the next trip to Germantown as another
21 opportunity to review some of the remaining
22 documents that we didn't get through, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealgross.com

1 hopefully issue a more final response to you
2 on, you know, to address the concerns
3 identified by SC&A.

4 MR. FITZGERALD: And these, as I
5 recall, and Ron can correct me, these were
6 almost the same kinds of issues that we raised
7 at Mound, when the MCNP-based coworker model
8 was raised, and we just wanted to understand
9 how those were being addressed in the Pantex
10 context.

11 MR. ROLFES: Sure.

12 MR. FITZGERALD: The other issue,
13 and I don't think we can get into it here, but
14 it's certainly a good Germantown issue.

15 MR. KATZ: Well, before we do
16 this, can I just get a sense of -- so if that
17 meeting is in June that we're going -- one
18 thing at a time. That meeting is in June that
19 we're going to, sort of data capture type
20 discussion meeting.

21 But so then so then do you just
22 have a sense as to how much following the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 meeting to actually prepare a response and
2 then get DOE to clear it? What framework are
3 we talking about? Is that a couple of months?

4 MR. ROLFES: A month, six weeks
5 maybe, is what I guess.

6 MEMBER BEACH: Mid-August.

7 MR. KATZ: Yes. It sounds like
8 we're talking about the August time frame.

9 MS. ROBERTSON-DeMERS: Ted? I've
10 had my interviews in for eight weeks, and
11 they're still not cleared.

12 MR. KATZ: Right, yes. I imagine,
13 but maybe it's not true, different kinds of
14 documents have sort of different time frames
15 with them for review by DOE, but maybe not.
16 Okay, I'm sorry to interrupt.

17 MR. FITZGERALD: To be fair, we're
18 pushing certain things faster, and I'm sure
19 things are lagging.

20 MR. KATZ: Yes.

21 MR. FITZGERALD: So we may be
22 partly responsible for that. No. I was going

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 to say one thing that it would be helpful for
2 you to address, and it's something that we
3 kind of identified in Germantown, would be to
4 look at the MCNP, and I'll say this carefully,
5 and see where the MCNP model would be bounding
6 for the various systems that historically were
7 handled at Pantex.

8 That was the other question, and
9 Kathy, maybe you can more artfully phrase it,
10 because I think that's kind of what we felt
11 would have been the add-on, based on
12 additional thinking on the neutron. Is that
13 about the way you can capture that?

14 MS. ROBERTSON-DeMERS: Well, in
15 the adjustment factor, there are three
16 elements, one of which is a correction factor
17 derived with the MCNP model, that tries to
18 characterize the percentage of the source-term
19 that's less than 500 keV, and the other two,
20 and Ron speak up if I've got this wrong, one
21 is fading and one is angular-dependent.

22 MR. ROLFES: That's correct,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Kathy.

2 MS. ROBERTSON-DeMERS: The one we
3 have the most concern with and the one that's
4 the most sensitive is the correction factor
5 for MCNP, and I don't know that we can say too
6 much about that. That the particular factor
7 that gets into some sensitive documentation.

8 DR. BUCHANAN: Yes. This is Ron
9 Buchanan. That's correct, Kathy. The fading
10 and the angular dependency is probably not a
11 classified issue. It's an issue, but not
12 classified, and it's very similar to Mound,
13 except that here, we have a question of PA and
14 radiation.

15 But however, the energy spectrum
16 is for the neutrons below half MeV. So that
17 might be where we run into classified
18 information that would affect the correction
19 factor.

20 MS. ROBERTSON-DeMERS: Now one
21 item on angular dependence that, you know, we
22 would like to see some input on is the fact

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 that like Sarah said, there can be multiple
2 units in a cell or bay at one point, and how
3 are you going to deal with that.

4 MR. FITZGERALD: And what I would
5 propose, because again, we go into these six-
6 month cycles, I did get some of issue-specific
7 papers cleared, according to the email, and
8 what we'll probably do is share those with you
9 by memo to the Work Group, and just hit some
10 of these specific points.

11 So if you're in the midst of
12 thinking about neutrons, you'll get the
13 benefit of some of this additional
14 perspective, as long as it's clear, of course,
15 that maybe you can incorporate. If not, if
16 too much of it is redacted, then we'll save it
17 for Germantown and have that discussion then.

18 But I'd rather deal with that in
19 real time, if we can get that information to
20 you on this neutron business, and the other
21 issues as well. Well, that's -- I guess
22 that's about it on that one.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MEMBER BEACH: I have a question
2 on the data adequacy and completeness. Mark,
3 when do you think you'll have that paper
4 ready? I know you just got this, so --

5 MR. ROLFES: Well, that's --

6 MR. HINNEFELD: That's a little
7 complex for us to say. It will involve work
8 by our contractor, who also works on
9 everything else, you know, that the Board's
10 working on.

11 MEMBER BEACH: Oh right, that
12 priority thing.

13 MR. HINNEFELD: So it's going to
14 be a matter of prioritizing what's in front of
15 us, recognizing that Pantex has been going on
16 a long time, and it's high on the list. But
17 it's just too complex to say here, and to give
18 an estimate today.

19 MEMBER BEACH: Okay.

20 MEMBER SCHOFIELD: Do we know
21 which Kivas had M-1 within Kiva itself or out
22 in the hallway?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. ROLFES: Talking about reactor
2 containment buildings. That's a Kiva?

3 MEMBER SCHOFIELD: Oh, no, no.
4 I'm sorry. I'm getting the wrong state, you
5 know, the cells.

6 MR. ROLFES: In the cells,
7 Building 1244, Cells 1 through 6 and 8 had air
8 monitors in them.

9 MS. RAY: They had air monitors in
10 the corridor, not directly in the round room.

11 MR. ROLFES: They had sampler
12 heads within the cell. They had --

13 MS. RAY: They were sniffed in at
14 eye level.

15 MR. ROLFES: Correct, so that
16 would be a sampling head. They also had one
17 in cubicle A, B --

18 MS. RAY: On the walls, and the
19 work was primarily done in the middle because
20 of the positioning --

21 MR. ROLFES: Correct.

22 MS. RAY: Of other things that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 were used to process air, to process vacuum,
2 hoisting and rigging, that type of thing.

3 MR. ROLFES: Right, right, and
4 then also in the equipment room. So there
5 were basically in each cell the cubicles and
6 the equipment rooms.

7 MS. RAY: The staging area.

8 MR. ROLFES: Yes.

9 MR. FITZGERALD: Anything more on
10 neutron? I mean I think that pretty much lays
11 it out where it is right now. That's been, I
12 think, documented pretty well. Ron, thank you
13 for helping out on that.

14 DR. BUCHANAN: Yes, okay.

15 MR. FITZGERALD: The next thing on
16 the list is the external dosimetry issues, and
17 that's been a source of confusion, but to sort
18 of try to go back, and originally, it must
19 have been two Work Group meetings ago, maybe
20 it's one Work Group meeting ago.

21 But anyway, what we had was
22 discussions on a number of the external

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 dosimetry issues, and these were a number of
2 questions about adjustment factors, if you
3 recall, and a number of things like that. We
4 had Hans Behling come on the speaker box, if
5 you recall that conversation. This is going
6 back a ways.

7 But at the end of that
8 conversation, I think the Work Group was
9 leaning towards making that a Site Profile
10 issue. I mean all, there's like three or four
11 external dosimetry issues. Hans agreed that,
12 you know, this was more on the realm of
13 picking the right adjustment factors, but not
14 certainly negating the ability to dose
15 reconstruct, if you can call it that.

16 Where the, and I had to -- just
17 went back to the transcripts from the last
18 Work Group meeting, because it's been a while,
19 but where the Work Group was coming out on
20 that was there were some pretty important,
21 legitimate adjustment factor issues and other
22 questions that dealt with the external

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 dosimetry.

2 But clearly, I think, the
3 consensus was it was tilting towards a Site
4 Profile discussion. Rather than take up room
5 and, you know, in this case, to have NIOSH go
6 back and look at the findings that were
7 identified, and see if --

8 And this gets back to some of the
9 things we've been doing with GDPs on Site
10 Profile, to see what would make sense to put
11 into the queue for changes in the Site Profile
12 for the external dosimetry TBD.

13 Not to put too much into this, but
14 that's kind of where that came from. I just
15 keep seeing references saying, you know, not
16 sort of recognizing that was where this thing
17 was left. So this is actually something the
18 Work Group, based on the last Work Group
19 discussion deliberation, felt was more of a
20 Site Profile issue, but still, you know,
21 didn't want to lose it.

22 It was important enough that the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 request was for NIOSH to go back and consider
2 what changes could be put in the pipeline.
3 Certainly not in the same context of SEC time
4 lines, but just make sure these were captured.
5 That was kind of where it was left.

6 I know it's on our, it's on the
7 list. I know it keeps showing up and I know
8 you responded to it, but that's kind of the
9 essence of it, and I'd invite you to go back
10 and look at the transcript. I mean that's
11 kind of where it came out.

12 MR. HINNEFELD: What's the issue
13 again, sorry?

14 MR. FITZGERALD: External
15 dosimetry issues. There's three or four
16 findings that revolve, and I can tell you the
17 numbers. These are Findings 6, 11, 12 and 13,
18 and we did have a good discussion on those.
19 But after the give and take was done, and Hans
20 is a pretty, you know, he doesn't give very
21 often.

22 When he said that, you know, he

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 was pretty satisfied this was more of a, you
2 know, picking the right adjustment factor or
3 coming up with the right variance, that he
4 thought it was more of a Site Profile
5 question.

6 That's when the Work Group came
7 back and said well why don't, you know, these
8 are still pretty important. We don't want
9 incorrect adjustment factors and dose
10 reconstructions going on. Can you go back and
11 at least see what could be done readily?

12 For the ones that take awhile,
13 like with all Site Profiles, they get put in
14 the queue and when the Site Profiles obviously
15 revise the -- you know, a patch up of those.
16 But for some of these actual numerical
17 factors, you could -- and there was an
18 acknowledgment at the table, yes, these were
19 not right or incorrect. I think that was the
20 only follow-up, and I notice that we keep
21 going back to it. That was it.

22 MR. HINNEFELD: Okay, and that was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 the transcript of the last meeting of this
2 Work Group or do you remember when it was?

3 MR. FITZGERALD: Yes. It was the
4 last transcript, but that's a year ago.

5 MR. HINNEFELD: Okay.

6 MR. ROLFES: I was going to say, I
7 recall having a discussion about external
8 dosimetry, and I remember one of the not
9 findings, but one of our responsibilities
10 following that meeting was to provide a
11 reference. We had quoted a reference for an
12 uncertainty in the measured gamma doses, and
13 we provided that reference since --

14 MR. FITZGERALD: Yes, it was more
15 than that. Actually, like I said, I don't
16 want to take too much time up here. But it's
17 helpful to go back and look at the transcript,
18 where we're having this exchange with Hans.
19 Then the Work Group weighs in and I think
20 there's this agreement, which is hard to
21 reach.

22 But this was certainly looking

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 more like a Site Profile question, and maybe
2 the way to dispatch it was to do that. That's
3 kind of where I'm carrying it here. So it
4 might be helpful just to pin that down and
5 take it from there.

6 I mean I think it could also go
7 into the matrix and update the matrix, but I
8 wanted to at least nail that down, so I looked
9 at the transcripts, and that's pretty much
10 where it came out.

11 MR. KATZ: So I --

12 MR. ROLFES: I guess I was going
13 to say those are things that we can keep in
14 mind. I don't know if there's outstanding
15 issues that we haven't responded to.

16 MR. HINNEFELD: Well, the first
17 thing we do is we go look at the transcripts,
18 and see what the discussion was, and see what
19 a response would be or something to say about
20 it. I think that's what we do.

21 I don't think we want to let that
22 debate interfere with an SEC decision. you're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 right, and you're exactly right. What happens
2 on these sometimes is an SEC decision is made,
3 and everything sort of stops.

4 Everybody's attention is diverted
5 elsewhere, and so you still have these
6 lingering Site Profile changes, whether you're
7 doing it for all the claims or just the non-
8 presumptive claims --

9 MR. FITZGERALD: Yes. I think for
10 a couple of them --

11 (Simultaneous speaking.)

12 MR. HINNEFELD: That's sort of on
13 the to-do list.

14 MR. FITZGERALD: For a couple of
15 them, there seemed to be agreement that these
16 numbers weren't quite right. But you know,
17 when you skip that point, you know it's not an
18 SEC issue anymore.

19 MR. KATZ: So I just -- I have
20 this down as an action item then, that DCAS
21 will review the transcript and report back to
22 the Work Group.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. FITZGERALD: Yes. They might
2 actually get a lot of this done quickly. The
3 other matrix issues, I think, is just what we
4 almost just did with neutron and with the
5 external dosimetry, which is just sort of a --
6 you know, we've got a number of findings on
7 the table.

8 But I sort of want to defend those
9 for the sake of the Work Group, more than
10 anything else, because I think it's easy to
11 sort of get lost in the shuffle, when we have
12 a total of something like 16 or 17 original
13 matrix findings.

14 I think what we owe the Work Group
15 and NIOSH is an update, and maybe what we can
16 do is exchange that and get the matrix through
17 the Work Group at least current, so we have
18 that to work with.

19 But just as a thumbnail sketch for
20 this meeting, what we're seeing is sort of
21 SEC-significant issues. Not necessarily what
22 the Work Group would recommend, but certainly

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 ones that still have that flavor would be this
2 question on neutron, more the MCNP aspect of
3 it, as to whether it's bounding for all
4 systems that were handled and selectively
5 discussed.

6 We're going to get into maybe some
7 secure information, but that's something that
8 ought to be addressed, put that to bed. The
9 fading issues and some of the adjustment
10 factors, I don't think those are as much an
11 SEC question. I think those are definitely
12 manageable.

13 As we discussed earlier, this
14 question of back extrapolation of uranium and
15 possibly thorium. I think we feel there's
16 some real question marks on thorium. It's
17 uranium and thorium, that question that we've
18 spent some time on.

19 The adequacy and completeness,
20 obviously that bares your analysis, and I
21 won't say anything more about it. That was --
22 let me step back. The MCNP issue is the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 neutron finding number 7 on the matrix.
2 That's number 7.

3 The back extrapolation of uranium
4 thorium, that's Issues No. 2 and 4,
5 respectively on the matrix. The adequacy and
6 completeness of internal and external are
7 matrix Items 1 and 8, respectively.

8 MR. KATZ: Are saying -- I mean
9 are you throwing those in the same bin, that
10 are SEC Issues 1 and 8?

11 MR. FITZGERALD: Oh no. I'm just
12 saying that they're not off the table, as far
13 as being clearly not SEC-significant. It may
14 turn out, from a completeness and accuracy
15 standpoint, that with the NIOSH response it
16 doesn't, you know, doesn't rise to an issue.
17 But it's still current.

18 And we still have some more
19 research on tritium dose estimation, in terms
20 of the -- and this gets, this ties into the
21 adequacy and completeness. There's some
22 lingering questions we have to answer, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 that's Item 15. I think there's a wealth of
2 data for tritium. So you know, I think that's
3 not necessarily going to be an SEC-significant
4 question.

5 But I think we need to answer some
6 additional issues before we can feel
7 comfortable and get it off the table. Sort of
8 in -- that's sort of the SEC-significant bin.

9 The bin where, I think, more information is
10 needed, and I think the site visit's going to
11 help is the firing and burial site issues.
12 That was Finding No. 10 or Item No. 10 from
13 the matrix.

14 We want to get additional
15 information on Item 14, which had to deal with
16 subcontractors and temporary workers, but I
17 think quite frankly, that's leaning toward
18 being a Site Profile question at best, or not
19 an issue at all. So we're doing additional
20 research on that.

21 I think as Kathy mentioned, we've
22 done some initial look-see on incidents. But

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 when we go down to the site, we want to make
2 sure that we have captured everything we need
3 to on that. But I think you got the essence
4 of where the concerns are, with how the
5 incidents are informing this question of the
6 event bioassays. I think that remains the
7 same.

8 We originally had tritides or STCs
9 on the need more information, but after the
10 Germantown visit, I would definitely say, as I
11 said earlier, that I think that's off the
12 table. That's an SEC question for Pantex. I
13 think it's more of -- we'll look for
14 additional information. But right now, I
15 don't think that's going to rise to that
16 significance.

17 MEMBER BEACH: That's Issue 5?

18 MR. FITZGERALD: That's Issue No.
19 5. Likewise, for plutonium, which is Item No.
20 3. We would see that not being likely, and we
21 would recommend to the Work Group that it
22 would not likely be an SEC issue. All of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 these, obviously, are subject to change,
2 depending on if the Work Group has objections
3 or questions.

4 There are an Item 17, HP/IH
5 programs, which we don't think that's an SEC
6 question. But with all the matrix, it
7 certainly came from the Site Profile
8 originally. Ditto with badge placement. I
9 think the NIOSH explanation is certainly
10 sufficient. That was Item No. 16. It was a
11 petitioner issue originally, I think.

12 And then, of course, going back to
13 the external dose issues we just mentioned.
14 There's four findings that relate to that,
15 that we dealt with at the last Work Group
16 meeting, that in toto, I think there was an
17 agreement that they look like, more like Site
18 Profile issues. That's Item 6, 11, 12 and 13.

19 So I'll send something through
20 Brad and Ted that would be sort of an update,
21 based on that sort of binning, and clarify
22 sort of what we can best describe as how we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 got there in this forum. Then, you know, Mark
2 or whomever, I think you would just need to,
3 you know, agree or disagree or change or
4 modify, whatever.

5 That would give us at least a
6 baseline for the rest of the review, which
7 would be helpful at this point. I think this
8 original one, which is pretty lengthy, has
9 gotten out of date. I think a lot of things
10 have been addressed in different places.

11 MR. ROLFES: I think as a result
12 of our last Work Group meeting, we tried to
13 narrow it down to the few handful of issues
14 that were the SEC issues, and that's where we
15 brought our focus to.

16 MS. RAY: As an SEC petitioner,
17 I'm interested in seeing a time line.
18 Obviously, we're wondering how close we are to
19 an SEC decision being made. This has been
20 going on since 2006, and it does seem to me
21 that we should be reaching a conclusion at
22 some point, things like that all records

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 probably should already have been reviewed,
2 but apparently they have not.

3 But if I could -- and my co-
4 petitioners, if we could see a time line, we'd
5 like to know how long all of this is going to
6 take. I know Mark is saying that he has
7 several things, and I was hearing an August
8 time frame on something and a June on
9 something else.

10 You know, that just keeps pushing
11 all of this forward, and I think it's fair to
12 ask for a reasonable time line.

13 MR. HINNEFELD: Ms. Ray, this is
14 Stu Hinnefeld, the Director of the DCAS
15 office, and I've got to say the Institute
16 kind of shares your opinion, that we've been
17 at this a long time.

18 MS. RAY: Yes.

19 MR. HINNEFELD: I think, but I'm
20 afraid I'm not in a position to offer a time
21 line today. This is a fairly complex thing
22 that we have to deal with, and I'd just say --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 I would just want to reassure you that your
2 voice is not unheard by me or by my bosses in
3 Washington.

4 MR. KATZ: Let me just add, this
5 is Ted, Sarah, that I mean we're looking at, I
6 mean from what's been discussed here, we're
7 looking at another Work Group meeting as soon
8 as -- in August. So and the Work Group has to
9 prepare its conclusions to report out to the
10 full Board.

11 MEMBER BEACH: Well, and that
12 might be pushed out, because of the --

13 MR. KATZ: Well, at the soonest in
14 August.

15 MEMBER BEACH: Yes.

16 MR. KATZ: I'm not -- I can't
17 sign, seal and deliver that. But at soonest
18 in August, and then as I said, the Work Group
19 after it meets, if it has, can finish its
20 business in the next meeting, which is not
21 crystal clear at this point.

22 But if it can, and then it would

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 report out to the Board at the subsequent
2 Board meeting, which after August is in the
3 very beginning of December.

4 MR. HINNEFELD: It's early
5 December, yes.

6 MR. KATZ: So there's actually
7 room for more than one meeting for the Work
8 Group to conclude its business, late summer
9 and early fall, if that works out. Anyway,
10 I'll just -- Sarah, I'm just trying to give
11 you as much of a picture as I can.

12 MS. RAY: I appreciate that
13 information.

14 CHAIRMAN CLAWSON: Have you --

15 MR. FITZGERALD: That's down to
16 action item summary.

17 CHAIRMAN CLAWSON: And we're about
18 out of time, so that would probably be the
19 best thing to do, is to be able to go through
20 what each side's responsible for, and I
21 realize that you can't give a time frame. But
22 you know, at least maybe an estimate, and so

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 forth, of what we've got. We've got the data
2 adequacy that has been delivered; correct?

3 MR. FITZGERALD: Yes.

4 CHAIRMAN CLAWSON: You've got the
5 -- so maybe I could just have Ted, if you've
6 got the list.

7 MR. KATZ: Yes. Let me see if I
8 can go through my notes and sort this out,
9 what I have for action items. Let me just
10 think how I've indicated them in my notes
11 here.

12 Okay. So the first one I have is,
13 and Mark, I'm sure, has everything I have too,
14 but Mark committed to providing notes from the
15 Site Research Database, on --

16 MR. ROLFES: Chemical analyses.

17 MR. KATZ: From the design
18 laboratories.

19 MR. ROLFES: From some of the
20 residue collected at the Pantex plant.

21 MR. KATZ: Right. That's the
22 first item.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MEMBER BEACH: Is that the one
2 that Kathy requested?

3 MR. KATZ: Yes, yes. Kathy
4 requested that. Okay. NIOSH is to provide an
5 analysis to SC&A. This is -- Mark mentioned
6 recently about the issue of having followed up
7 on some of the workers' reports about their
8 exposures, and the example given was dark
9 powder. But we'd ask that NIOSH provide those
10 analyses. They're on the Site Research
11 Database or they will be. SC&A is going to
12 identify the 24 cases that Ron reviewed.

13 MS. ROBERTSON-DeMERS: Ted, this
14 is Kathy.

15 MR. KATZ: Yes.

16 MS. ROBERTSON-DeMERS: They were
17 supposed to also identify the 42 workers --

18 MR. KATZ: Exactly, right. I was
19 going to go back up there, because I recall
20 that you've had a group of cases to report on,
21 to identify. DCAS is going to prepare a
22 response to the data adequacy report.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 DCAS is going to review the
2 transcript and report back on the external
3 dosimetry issues that we just discussed, and
4 to report back is to report back a plan for
5 how that's going to be handled going forward,
6 with respect to the possibility of changing
7 the Site Profile, or at least evaluating the
8 issues further.

9 MR. ROLFES: SC&A has a worker
10 interview report that you've written or worked
11 on.

12 MR. FITZGERALD: It's in DOE
13 clearance.

14 MR. ROLFES: Okay.

15 MR. FITZGERALD: It's been there
16 for a while, so --

17 MR. ROLFES: And then SC&A --

18 MS. ROBERTSON-DeMERS: I have a
19 kind of an update on that. I asked Mike for a
20 status report on that. There are going to be
21 two versions to that interview summary. So
22 you need to review the full version when

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 you're in Germantown. What we're going to
2 release is one eligible for public release.
3 Are you following me?

4 MR. KATZ: Yes.

5 MS. ROBERTSON-DeMERS: Okay.

6 MR. KATZ: Okay. That's good to
7 know.

8 MS. ROBERTSON-DeMERS: And Mike
9 didn't know that, because I asked him
10 yesterday. So he's still checking on it.

11 MR. KATZ: Thank you, Kathy. Then
12 SC&A is going to provide this matrix update,
13 and DCAS will respond to it as needed,
14 elaboration, corrections, whatever. Those are
15 all the items I have in my notes. I don't
16 know if I've missed some. I could have
17 easily.

18 MR. FITZGERALD: One item. This
19 is -- we didn't really put a punctuation point
20 on this. I was saying earlier the central
21 issue of depleted uranium, you know, back
22 extrapolation or however you want to term that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 from the '89 incident, the '90 bioassay data.

2 I'd rather not leave that sort of
3 -- because that is a central question, and I'm
4 going to try to get some notes and then clear,
5 try to get something to you. But I'd like to
6 put that on a fast track, to sort of a fish or
7 cut bait question on, you know, is there
8 anything that collectively one can do to
9 establish this bounding conclusion for the
10 depleted uranium, the eight -- I guess it's
11 eight. I thought it was four, the eight
12 systems that actually involved the uranium,
13 and just get past this point of, you know,
14 it's the W28, it's not the W28. How do you
15 know?

16 I mean it seems like we've kind of
17 beat that one. But I really would like to,
18 you know, do that in real time, to just
19 establish one way or the other is this current
20 approach sufficient to bound this, without
21 getting into program reliability. But you
22 know, do we have the goods, in terms of data

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 or not, and just bring that back to the Work
2 Group, and closer to real time.

3 If we need Germantown, we have
4 Germantown coming. So that's kind of a nice
5 advantage. But I will go back and try to get
6 that piece, now that it's been cleared, that
7 has that new data point in it. I hope it's
8 provided. I haven't seen it yet.

9 MS. ROBERTSON-DeMERS: This is
10 Kathy, and to do add to that --

11 MR. FITZGERALD: Yes.

12 MS. ROBERTSON-DeMERS: We really
13 need to resolve this issue with the units
14 associated with the bioassays that you're
15 using to back extrapolate.

16 MR. ROLFES: You mean the dpm per
17 milliliter or something?

18 MS. ROBERTSON-DeMERS: Dpm per
19 milliliter.

20 MR. ROLFES: We'll look at that
21 also.

22 MR. FITZGERALD: Okay. But that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 was the approach to the Work Group, is just,
2 you know, I still see this as the critical
3 path for resolution by the Work Group on
4 Pantex SEC. I mean that's another issue that
5 they're beginning to trend toward resolution.

6 This issue is not as much, and I
7 think this -- I think this would help respond
8 to the timeliness issue, that we really have
9 to just settle this out, and I'd like to think
10 we can do that.

11 We have enough of the classified
12 reviews and with the onsite visit, I think
13 we're in a good position to know if we have
14 everything we need to settle that issue, and
15 bring it back and get it, you know, in a forum
16 that lays it out.

17 If we don't have the goods, then
18 report that back, so that the Work Group has
19 enough to make a decision on it. I think
20 that's the central SEC question. The thorium
21 is a little different. I think that one we
22 will have to talk about in Germantown.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 So I think those -- if we can get
2 those issues done, I think the rest of it will
3 fall into place, and we'd be able to talk
4 closure in the fall.

5 MR. KATZ: So for the DU, the
6 substantiating sort of evaluation that you're
7 looking for has to do with then, what Mark
8 discussed. I think that there are these other
9 urinalysis results, and there are these other
10 air monitors that are not being used for dose
11 reconstruction, because of their preference.
12 But that needed to be examined, as to whether
13 those suffice to shore up the argument or not.

14 MEMBER BEACH: Was that the 1956
15 data you were talking about?

16 MR. KATZ: 1959 prior
17 investigated, and forward, whatever.

18 MEMBER BEACH: '59, okay.

19 (Simultaneous speaking.)

20 MR. KATZ: Is that what you're
21 talking about putting on the table and getting
22 cleared up?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. FITZGERALD: We had the data
2 accuracy and completeness, which I think is
3 our best treatment of what we see as the data
4 that's available. We have additional data
5 that may or may not have found its way into
6 that analysis. But if we all have a grasp of
7 what information is out there, and the
8 reliability or use of that, you know,
9 usability of that information.

10 You know, I think there's been
11 some confusion on air sampling, for example,
12 and taking that back and forth, and whether or
13 not that either substantiates or not the
14 bioassay. Well, I think you have the analysis
15 that Kathy was talking about, and that's our
16 best cut, how we view that.

17 There seems to be some agreement
18 on that. But if we can sort of align all this
19 data and say okay, you know, where's that
20 leave us, and you know, what I was saying
21 earlier. You have several options, I think,
22 and you know, I don't think the W28, the '89

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 event is necessarily the only option.

2 It may have been the option four
3 years ago, when ER or three years ago,
4 whenever it was when the ER was settled. But
5 you know, now that we've gone through all this
6 and have seen maybe additional data by this
7 point in time, and we've done more analysis,
8 maybe another option will present itself, or
9 not. I don't know. But I'm just saying I
10 think we're kind of stuck on that one
11 position.

12 I just want to reexamine that, and
13 I think we've said everything we need to say
14 about where we are on that, and I'd like to
15 think in real time we can settle that out, and
16 at least bring that back to the Work Group, so
17 that -- from a time limit standpoint.

18 These other things can go ahead
19 and go to resolution. But that one to me is
20 the tough one, that has to be settled above
21 and beyond everything else if we're going to
22 get this done. So that would be very helpful.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 So I would just recommend that if the Work
2 Group wanted to phrase it in a certain way.

3 I mean there's not a deliberate A,
4 B or C, but that we acknowledge that as an
5 ongoing action from this meeting, that SC&A
6 and NIOSH will, you know, work in real time to
7 address that issue.

8 CHAIRMAN CLAWSON: That's the key
9 to this whole issue that we've been dealing
10 with it a long time. So that's one of the
11 things that we need to push forward on, to try
12 to come to some kind of resolution on.

13 MR. FITZGERALD: Right, for that.

14 MEMBER BEACH: So that's an action
15 item for NIOSH then, to supply that data.

16 MR. FITZGERALD: No, it works both
17 ways. It works both ways.

18 MEMBER BEACH: Well, no. They
19 give it to you, and then you review it and --

20 MR. FITZGERALD: Yes. Well, what
21 I'm going to do when I get back is try to send
22 to Mark, as a memo, what DOE cleared, as far

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 as some of the information that we've
2 identified. Then I'll try to frame it in the
3 memo, kind of what this is all about, and
4 Mark, you know, basically hopefully can
5 respond in real time, and just not use
6 meetings.

7 But just use the technical
8 conference calls or memos, and just get this
9 thing going. So by some time in the summer,
10 we know where we stand, so that the meeting
11 may just be a chance for the two parties to
12 brief the Work Group.

13 Okay, you know, you've seen the
14 paper, but this is what it means, put you in a
15 position to decide what you want to do.

16 CHAIRMAN CLAWSON: But you'll keep
17 the Work Group --

18 (Simultaneous speaking.)

19 MR. FITZGERALD: Oh, I mean
20 everything, you know, everything will go
21 through the Work Group and Ted. You know,
22 you'll be the traffic cop. It will go back

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 and forth.

2 MR. KATZ: Is that clear?

3 MR. ROLFES: Yes, that works for -

4 -

5 MEMBER SCHOFIELD: On the issue of
6 the neutrons, we don't really have -- we're
7 not really that far apart.

8 MR. FITZGERALD: No.

9 MEMBER SCHOFIELD: Okay.

10 MR. FITZGERALD: No. It's just
11 that, you know, it was neutron/proton ratios.

12 We had a number of issues, and then based on
13 the Mound experience, I think NIOSH proposed a
14 better way to go about this, using MCNP.

15 We examined it in detail at Mound.

16 So when it came up to Pantex, you know, we
17 said well, you know, philosophically we're
18 there, but there are some issues that we want
19 to ask or questions we want to ask.

20 MEMBER SCHOFIELD: So my only
21 thinking there was that, depending on the
22 material types --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. FITZGERALD: Well, that's why
2 we were hedging our discussion a little bit,
3 because you know, the material type we're
4 talking about is nuclear weapon systems.

5 MEMBER SCHOFIELD: Right.

6 MR. FITZGERALD: So you can't
7 really get into --

8 MEMBER SCHOFIELD: And I have
9 actually done hands on with the different
10 ones.

11 MR. FITZGERALD: No, no. So what
12 we're saying is yes, well the MCNP has to have
13 parameters that envelope all those variables.

14 MEMBER SCHOFIELD: Okay. That's
15 where I was trying to get, without saying too
16 much.

17 MR. FITZGERALD: Yes. That's
18 exactly it. So it's not as clean as the MCNP
19 at Mound, where a lot of it was
20 straightforward. Here, it has to reflect the
21 parameters that come out of the different
22 systems.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 CHAIRMAN CLAWSON: Well, and a lot
2 -- it would be nice if we'd be able to have
3 some kind of a response, to be able to look at
4 it and --

5 MR. FITZGERALD: The only other
6 option then would be a generic pit, but you
7 know.

8 MR. KATZ: Thank you very much,
9 Joe.

10 MR. FITZGERALD: All right.

11 CHAIRMAN CLAWSON: But just
12 talking about the Germantown meeting, you
13 know, a lot of this could possibly be
14 discussed if we had something to be able to
15 discuss then.

16 MR. FITZGERALD: Well, we'll have
17 something, you know. I just think it depends,
18 and that's one of the reasons I'm raising it.
19 It's a month and a half, so maybe.

20 MR. KATZ: Yes, and this is a busy
21 month.

22 MR. FITZGERALD: Yes, it is.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 CHAIRMAN CLAWSON: Okay. Is there
2 anything else that needs to be brought up
3 before the Work Group?

4 MS. ROBERTSON-DeMERS: Brad, this
5 is Kathy.

6 CHAIRMAN CLAWSON: Yes.

7 MS. ROBERTSON-DeMERS: Okay. I
8 wanted to give you an update, because I know I
9 told Mark and you and Joe. We were
10 tentatively scheduling a site visit to Pantex
11 the week of May 16th. Pantex has raised
12 issues with funding, and where it stands right
13 now is that Pantex and DOE Headquarters are
14 going back and forth, to determine whether
15 they have the funding to facilitate a visit.

16 I need to know who wants to go,
17 because that was one of the questions I got
18 asked by Robin McLuren, because apparently the
19 more of us that go, the more expensive it is.

20 So think about that and shoot me an email.
21 This is primarily a trip to review records,
22 probably many records that NIOSH has already

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 seen.

2 The data capture plan will feed
3 out shortly. What I will do is I will post it
4 on the O: drive, under our SC&A Data Capture
5 Plan, so people can look at it.

6 CHAIRMAN CLAWSON: Okay.

7 MS. ROBERTSON-DeMERS: As soon as
8 I get a concrete answer from Pantex and DOE
9 Headquarters, I'll let everybody know. But
10 there's a possibility it might have to be
11 rescheduled.

12 MR. FITZGERALD: Well, wait a
13 minute. How strong a possibility? It's May
14 3rd.

15 MS. ROBERTSON-DeMERS: Well, no.
16 It's May 16th. It's the week of May 16th.

17 MR. FITZGERALD: Well, I know it's
18 May 16th --

19 CHAIRMAN CLAWSON: You've got to
20 be able to travel.

21 MS. ROBERTSON-DeMERS: They said
22 I'll know today or tomorrow.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KATZ: Okay, that's fine.

2 CHAIRMAN CLAWSON: Kathy, I think
3 that's what you told me last week.

4 MS. ROBERTSON-DeMERS: I know.
5 That's what I keep getting told.

6 CHAIRMAN CLAWSON: I understand.
7 We'll take a look at it and we'll go from
8 there.

9 (Simultaneous speaking.)

10 CHAIRMAN CLAWSON: So okay. I
11 appreciate the update on that.

12 MR. ROLFES: Some of the data, I
13 think -- now Kathy, correct me if I'm wrong.
14 I think some of the focus of this trip wasn't
15 necessarily on Pantex, but was related to like
16 Clarksville and Medina.

17 MS. ROBERTSON-DeMERS: There's a
18 mixture of records. We are pulling some data
19 related to Medina and Clarksville.

20 MR. ROLFES: Okay.

21 MR. KATZ: Okay. Are we
22 adjourned?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN CLAWSON: Is there
2 anything else? Does anybody have any
3 questions or are what the action items are
4 clear?

5 (No response.)

6 CHAIRMAN CLAWSON: If not, we're
7 adjourned.

8 MR. KATZ: Thank you, Mr.
9 Chairman. Thank you, everyone. Have a good
10 day.

11 (Whereupon, at 2:01 p.m., the
12 meeting was adjourned.)

13

14

15

16

17

18

19

20

21

22

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com