

THE U.S. DEPARTMENT OF HEALTH AND HUMAN SERVICES  
PUBLIC HEALTH SERVICE  
CENTERS FOR DISEASE CONTROL AND PREVENTION  
NATIONAL INSTITUTE FOR OCCUPATIONAL SAFETY AND HEALTH

convenes the

WORKING GROUP MEETING

ADVISORY BOARD ON  
RADIATION AND WORKER HEALTH

CHAPMAN VALVE SEC

The verbatim transcript of the Working  
Group Meeting of the Advisory Board on Radiation and  
Worker Health held telephonically on April 23, 2007.

C O N T E N T S

April 23, 2007

WELCOME AND OPENING COMMENTS DR. LEWIS WADE, DFO	6
FROM SENATOR KENNEDY'S OFFICE	9
H.K. FERGUSON REPORT	18
INCINERATOR EXPOSURE	37
M AND S EXPOSURE	50
MACHINISTS EXPOSURE	52
PRESENTATION TO THE BOARD	58
COURT REPORTER'S CERTIFICATE	86

### TRANSCRIPT LEGEND

The following transcript contains quoted material. Such material is reproduced as read or spoken.

In the following transcript: a dash (--) indicates an unintentional or purposeful interruption of a sentence. An ellipsis (. . .) indicates halting speech or an unfinished sentence in dialogue or omission(s) of word(s) when reading written material.

-- (sic) denotes an incorrect usage or pronunciation of a word which is transcribed in its original form as reported.

-- (phonetically) indicates a phonetic spelling of the word if no confirmation of the correct spelling is available.

-- "uh-huh" represents an affirmative response, and "uh-uh" represents a negative response.

-- "\*" denotes a spelling based on phonetics, without reference available.

-- (inaudible)/ (unintelligible) signifies speaker failure, usually failure to use a microphone.

**P A R T I C I P A N T S**

(By Group, in Alphabetical Order)

EXECUTIVE SECRETARY

WADE, Lewis, Ph.D.

Senior Science Advisor

National Institute for Occupational Safety and Health

Centers for Disease Control and Prevention

Washington, DC

BOARD MEMBERSHIP

1

CLAWSON, Bradley

2

Senior Operator, Nuclear Fuel Handling

Idaho National Engineering & Environmental Laboratory

GIBSON, Michael H.

President

Paper, Allied-Industrial, Chemical, and Energy Union

Local 5-4200

Miamisburg, Ohio

GRIFFON, Mark A.

President

Creative Pollution Solutions, Inc.

Salem, New Hampshire

POSTON, John W., Sr., B.S., M.S., Ph.D.

Professor, Texas A&M University

College Station, Texas

ROESSLER, Genevieve S., Ph.D.

Professor Emeritus

University of Florida

Elysian, Minnesota

IDENTIFIED PARTICIPANTS

BASSETT, BETHANY, SEN. KENNEDY  
BLOOM, CINDY, NIOSH/ORAU  
BROEHM, JASON, CDC WASHINGTON  
CHANG, CHIA-CHIA, NIOSH  
DOWNS, AMIA, NIOSH  
HOMOKI-TITUS, LIZ, HHS  
HOWELL, EMILY, HHS  
KOTSCH, JEFF, DOL  
MAURO, JOHN, SC&A  
NETON, JIM, NIOSH  
ROLFES, MARK, NIOSH

## P R O C E E D I N G S

(9:00 a.m.)

1  
2WELCOME AND OPENING COMMENTSDR. LEWIS WADE, DFO3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21

**DR. WADE:** This is Lew Wade. I serve as the DFO, Designated Federal Official, for the Advisory Board, and this is a meeting of the work group of the Advisory Board, this work group focusing on the Chapman Valve SEC petition. It's chaired by Dr. Poston with members Griffon, Clawson, Roessler and Gibson. I've heard all of those individuals identify themselves as being on the call. Are there any other Board members on the call other than the members of this working group?

(no response)

**DR. WADE:** Any other Board members other than the members of this working group?

(no response)

**DR. WADE:** I would ask that the NIOSH/ORAU team identify themselves and whether or not they're conflicted on this site. Then I'll ask the SC&A team, ask for other federal

1 employees. I'll ask for workers, worker reps,  
2 member of Congress or their staffs, and then  
3 anyone else who would like to identify. So  
4 let's start with the NIOSH/ORAU team.

5 **DR. NETON:** This is Jim Neton, NIOSH, and no  
6 conflict.

7 **MR. ROLFES:** This is Mark Rolfes, NIOSH  
8 health physicist, no conflict.

9 **MS. BLOOM:** Cindy Bloom, ORAU team, no  
10 conflicts.

11 **DR. WADE:** Other members, NIOSH/ORAU?  
12 (no response)

13 **DR. WADE:** SC&A team?

14 **DR. MAURO:** John Mauro, no conflict.

15 **DR. WADE:** Other SC&A?  
16 (no response)

17 **DR. WADE:** Other federal employees who are  
18 on the call by virtue of their employment who  
19 are working on this call?

20 **MR. KOTSCH:** Jeff Kotsch, Department of  
21 Labor.

22 **DR. WADE:** Good morning, Jeff.

23 **MS. HOMOKI-TITUS:** Liz Homoki-Titus with  
24 Health and Human Services.

25 **DR. WADE:** Good morning, Liz.

1 Other feds?

2 **MS. CHANG:** Chia-Chia Chang with NIOSH.

3 **DR. WADE:** Good morning.

4 **MS. DOWNS:** Amia Downs, NIOSH.

5 **DR. WADE:** Good morning.

6 Other feds?

7 (no response)

8 **DR. WADE:** How about workers, worker reps,  
9 members of Congress or their staffs?

10 **MS. BASSETT:** Hi, this is Bethany Bassett in  
11 Senator Kennedy's Boston office.

12 **DR. WADE:** Good morning.

13 **MS. BASSETT:** Good morning, how are you all?

14 **DR. WADE:** Fine, thank you. Thank you for  
15 joining us.

16 **MS. BASSETT:** Of course, I just wanted to  
17 put out there, I know it's about 9:15 now, and  
18 I have another emergent matter to get to at  
19 about 10:00. So if there's any possibility of  
20 us talking specifically about Chapman Valve  
21 between that time, that would be fantastic.

22 **DR. WADE:** When you say, do you want to make  
23 a statement or --

24 **MS. BASSETT:** We just have a couple of  
25 issues to raise. I don't know what the first

1 point of the agenda is.

2 **DR. WADE:** Well, we can raise your issues  
3 when we finish the introductions if that's  
4 acceptable with you, Dr. Poston.

5 **DR. POSTON:** That's fine.

6 **DR. WADE:** Other introductions, members of  
7 Congress, workers, worker reps, Congressional  
8 staff?

9 **MR. BROEHM:** This is Jason Broehm from CDC,  
10 joining a few minutes late.

11 **DR. WADE:** Good morning, Jason.

12 Is there anyone else on the call who  
13 would like to be identified for the record?

14 **MS. HOMOKI-TITUS:** Lew, I just wanted to let  
15 you know that Emily Howell is dialing in right  
16 now.

17 **DR. WADE:** Good.

18 Anyone else who would like to identify  
19 for the record?

20 Ray, you're up and ready to go?

21 **COURT REPORTER:** Yes, sir.

22 **FROM SENATOR KENNEDY'S OFFICE**

23 **DR. WADE:** Well, why don't we hear from our  
24 friend from Boston. Please, the floor is  
25 yours.

1           **MS. BASSETT:** Okay, we just wanted to raise  
2 a couple issues regarding Chapman Valve, in  
3 specific, the Ferguson Reports. We haven't  
4 seen that, and we're hoping there's a  
5 possibility that we actually could see that  
6 document. Do you guys know if that is  
7 possible?

8           **DR. WADE:** Jason, I would leave that to your  
9 good offices.

10          **MR. BROEHM:** Yes, I've been in touch with  
11 Liz and Emily about that, or at least Liz, and  
12 they're still waiting to get a ruling on that.  
13 They need to check on both FOIA and Privacy  
14 Act issues.

15          **MS. HOMOKI-TITUS:** Yeah, we're waiting for  
16 the CDC FOIA Privacy Act office to get back to  
17 us on that.

18          **MS. BASSETT:** Okay.

19          **MS. HOMOKI-TITUS:** I will call them again  
20 today although I doubt I will get an answer  
21 before tomorrow because we have a meeting with  
22 them to go over a number of issues tomorrow.

23          **MS. BASSETT:** Okay.

24          **DR. WADE:** Jason will be your point of  
25 contact.

1           **MS. BASSETT:** Great.

2           **MR. BROEHM:** I will work to get that to you  
3 as soon as I can.

4           **MS. BASSETT:** Thank you, Jason, Portia and I  
5 both -- Portia can't be on the call this  
6 morning unfortunately.

7                   And I also just wanted to raise  
8 another issue, and it's -- please, anyone feel  
9 free to jump in with this if you have comments  
10 or concerns. Regarding the date of the fire,  
11 we originally had down, and correct me if I'm  
12 wrong in any way, but May 23<sup>rd</sup>? And we're  
13 finding just in talking to our constituents  
14 and other folks that there may have been an  
15 earlier fire. So we just wanted to raise the  
16 point that could it be taken into account  
17 higher exposures because of this earlier fire  
18 that we're finding out about now.

19           **DR. WADE:** Do you have any information or is  
20 there any information that anyone could share  
21 with the work group more than that?

22           **MS. BASSETT:** I can get some paper on that.  
23 We've kind of just heard it in discussions  
24 mostly with constituents. I know that we had  
25 originally said the fire date was May 23<sup>rd</sup>, and

1 then I believe samples have been done for June  
2 11<sup>th</sup>.

3 **MS. BLOOM:** I think maybe May 23<sup>rd</sup> is the  
4 date that you're thinking the fire is. We  
5 originally assumed that it occurred sometime  
6 in June --

7 **MS. BASSETT:** Okay.

8 **MS. BLOOM:** -- moved that back to May 31<sup>st</sup>,  
9 and now this report clearly states that there  
10 was a fire on May 23<sup>rd</sup>.

11 **MS. BASSETT:** And is the report the Ferguson  
12 Report?

13 **MS. BLOOM:** Yes.

14 **MS. BASSETT:** Okay, that's probably what  
15 we're hearing it from then just from  
16 constituents who are hearing that this report  
17 is out there and floating around, and they  
18 wanted to let us know. So we just wanted to  
19 raise the point that if there was this earlier  
20 fire, is it going to be taken into account  
21 that there may have been higher exposures.

22 **MS. BLOOM:** I did look at that, and it  
23 doesn't look like it'll change the coworker  
24 model, but it certainly would change the  
25 individual models.

1           **MS. BASSETT:** And then just one other issue,  
2 and I know you've heard us all talk about this  
3 before, but the enriched uranium, is the  
4 enriched uranium being taken into account? I  
5 know there's been some issues with the time  
6 line on that.

7           **DR. NETON:** This is Jim Neton in NIOSH.  
8 We're not taking the uranium into account  
9 during the covered period as defined by the  
10 Department of Labor because it's pretty clear,  
11 and especially -- I hate to keep relying on  
12 the Ferguson Report -- but it's very clear  
13 that it was natural uranium that was processed  
14 during that time. But we have relayed an e-  
15 mail or a memo to the Department of Labor and  
16 the Department of Energy suggesting that they  
17 look at other periods for enriched uranium  
18 activities based on some of the interviews  
19 that SC&A conducted with workers at the site.

20           **MS. BASSETT:** So they will be looking at  
21 some --

22           **DR. NETON:** Well, I can't speak for what  
23 they're going to do, but we have informed them  
24 that we have this information, and they should  
25 take this into consideration.

1           **MS. BASSETT:** Okay, our main concern --

2           **MS. HOMOKI-TITUS:** May I just clarify one  
3 thing?

4           **MS. BASSETT:** Oh, please.

5           **MS. HOMOKI-TITUS:** I just wanted to let you  
6 know. The Ferguson Report is going to come to  
7 you. The only thing we're trying to figure  
8 out is if our FOIA Privacy Act office is going  
9 to require it to be redacted. So it's either  
10 going to come to you tomorrow, or we're going  
11 to make it top priority to get it redacted and  
12 get it to you in a couple of days.

13           **MS. BASSETT:** Okay.

14           **MS. HOMOKI-TITUS:** We're not blocking the  
15 release of it. I just wanted you to know that  
16 you are going to get it.

17           **MS. BASSETT:** That's wonderful, great, thank  
18 you, we appreciate that.

19                       Just with our constituents our main  
20 concern is that they've gone so far in this  
21 process and many of them are looking at  
22 documents that say enriched uranium. So we  
23 just understand that it would be extremely  
24 frustrating for them to have to go all the way  
25 back to begin again. So if we could just, I

1                   guess, the fact that you're telling them to  
2                   look at the enriched uranium is great.

3                   **DR. WADE:** I guess, Jason, if I could ask,  
4                   impose upon you to look at our communications  
5                   with the Department of Labor and, if possible,  
6                   if we could share them.

7                   **MR. BROEHM:** Okay.

8                   **MS. BASSETT:** Okay.

9                   **MR. GRIFFON:** I think, I don't know, was  
10                  that, that came up last meeting on the phone  
11                  call that actually DOL was having a meeting  
12                  the same day that we were about Chapman. And  
13                  I don't know if there's any update the DOL can  
14                  provide us on this call.

15                  Lew, is that --

16                  **DR. WADE:** I don't know.

17                  Jeff, are you in any position to  
18                  comment?

19                  **MR. KOTSCH:** I'd have to check.

20                  I think, Jim, I assumed it went to  
21                  Carolyn or somebody else other than me.

22                  **DR. NETON:** Actually the memo itself I think  
23                  went to Pete.

24                  **MR. KOTSCH:** I have to admit I don't know  
25                  what the status of that is. I can check and

1 get back to the Board.

2 **DR. WADE:** Well, if it's appropriate for us  
3 to share that with our friends on the Hill,  
4 then we should leave that to others to decide.

5 **MS. BLOOM:** Just an aside on that, on the  
6 enriched uranium issue, the only thing that  
7 we've seen are those environmental samples in  
8 later years. There was a health physics  
9 journal that came out May 2007 that does have  
10 an article under the liability of U-235 to U-  
11 238 ratios. And I've just glanced at it so  
12 far, but it appears to indicate that those  
13 ratios are not very reliable.

14 Again, I think it's worth pursuing  
15 with DOE to find out if there's any other  
16 information there. In looking at this article  
17 my sense is that those ratios may not be very  
18 meaningful, especially at low levels, but  
19 that's probably worth pursuing as well,  
20 looking at that to see if that answers any  
21 more questions.

22 **DR. WADE:** Anything else?

23 **MS. BASSETT:** That's it from us for now.

24 **DR. WADE:** Thank you.

25 **MS. BASSETT:** Thank you. I'll be on until

1 about 10:00, so thank you, guys.

2 **DR. WADE:** John, belatedly, it's yours to  
3 begin.

4 **DR. POSTON:** Basically, let's see, there's  
5 four issues to address. Certainly, we've  
6 already heard the H.K. Ferguson Report needs  
7 to be discussed a little bit from last time.  
8 There was some discussion that NIOSH is going  
9 to look at the implications of the combined M  
10 and N exposure matrix, whether or not there  
11 was a special intake that should be added for  
12 incinerator exposure. I'm not quite sure  
13 about that. And then the fourth issue was  
14 whether or not the machinists' exposures were  
15 adequately addressed by the limited number of  
16 bioassay samples that were taken, that is, the  
17 40 samples.

18 That's all I had on my hit list. If  
19 there's anything else that the working group  
20 members have to discuss, we probably need to  
21 put it on the list now. Anything else?

22 **MR. GRIFFON:** Well, I'm not sure there's  
23 much to discuss about it, but I do have  
24 specifically an action item was that NIOSH was  
25 going to give us an update on DOL's

1 investigation of this other time period, but I  
2 guess there's no information. So I'm not sure  
3 how far we can go with that.

4 **DR. NETON:** I'm not sure, Mark, that would  
5 affect our ability to make a decision here for  
6 this covered time period.

7 **MR. GRIFFON:** No, no, I understand.

8 **DR. WADE:** The work group has an interest,  
9 and we should keep them informed.

10 **DR. POSTON:** I was trying to focus on the  
11 things that are left to do and seeing if there  
12 isn't the possibility we could wrap this up so  
13 we could have a recommendation to the Board at  
14 the May meeting. That may be specious, but I  
15 think we're getting down to the end of this,  
16 of these considerations. I think that NIOSH  
17 and SC&A and the work group are all coming  
18 together reasonably well so I don't know  
19 exactly how to proceed.

20 **H.K. FERGUSON REPORT**

21 Maybe, Mark, maybe you could take a  
22 minute or so and talk about the Ferguson  
23 Report. I know you sent out an e-mail that  
24 covered it quite well, but you might summarize  
25 what you sent out.

1           **MR. ROLFES:** This document is in the site  
2 research database as well. It's available on  
3 the X drive in case no one had the opportunity  
4 to look at it yet. I would definitely  
5 encourage everyone if they haven't looked to  
6 quickly look through the document and see some  
7 of the pictures and some of the various  
8 operations.

9           This document is titled "The Machining  
10 of Uranium for Brookhaven Reactor". And it  
11 basically summarizes the entire process of the  
12 operations, describing the uranium rods that  
13 were sent in from Hanford to the Chapman Valve  
14 facility. It describes the building where the  
15 operations were conducted, the floor plan.

16           We have an updated map, the location  
17 of the incinerator, the location of every  
18 machine that was involved in the production  
19 operation, very detailed and intricate  
20 descriptions of each machining operation  
21 through the entire process, any shortcomings  
22 associated with that process and corrective  
23 actions that were taken, description of the  
24 machining oils and coolants that were used at  
25 each station, the health physics program and

1 procedures and regulations, as well as some  
2 correspondence documents.

3 Then we have the description of the  
4 fires that occurred, a description of the  
5 clean up and decontamination, and a  
6 description of the waste disposal following  
7 the completion of the project. Now this  
8 document also gives us quite a bit of detail  
9 about the first machining operation involving  
10 200 slugs of uranium which were produced by  
11 April 15<sup>th</sup>, 1948. And it also indicates that  
12 at the maximum production rate they were  
13 producing approximately 1,200 slugs per day.

14 We've got the total source term, and  
15 we have a date for the end of the project  
16 indicating October 7, 1948. So taking what we  
17 have in this document in comparison to what we  
18 have assumed in our Technical Basis Document  
19 for dose reconstruction -- This just concerns  
20 that we're claimant favorable by extending  
21 what we're using for dose reconstruction by  
22 extending the time period that we're assuming  
23 that exposures occurred.

24 I guess if there are specific  
25 questions, we can get into those now, but --

1           **DR. NETON:** Mark, I might just want to add a  
2 couple things.

3           **MR. ROLFES:** All right, thank you, Jim.

4           **DR. NETON:** One thing that I know we're  
5 going to get into later is the furnace  
6 operations. And Mark indicated there is a  
7 diagram of where the furnace was, but there's  
8 also a picture and a fairly detailed  
9 description of the design of the furnace. It  
10 was sort of a homemade operation including the  
11 flow rates, the air flow rates through the  
12 furnace at the aperture, through the exhaust  
13 duct.

14                   And also we have initial information  
15 about the number of times that chips were  
16 roasted or burned in the furnace. Looks like  
17 it was done during peak production, at least  
18 stated it happened twice a week. Also it was  
19 an interesting fact that they only roasted the  
20 fines, the grinding operation-type samples and  
21 not the turnings that were produced as a  
22 result of some of the lathing operations. So  
23 that limited the source term of the burnings a  
24 little more, but we'll be talking more about  
25 that. But I think there's enough information

1                   there to have a pretty good discussion about  
2                   the potential exposure of people involved in  
3                   the furnace operations.

4                   **DR. MAURO:** This is John Mauro. I guess I'd  
5                   like to add a few items also. I agree with  
6                   the characterization that Mark just gave, and  
7                   Jim. And I think that there are aspects of  
8                   this write-up that does change the way in  
9                   which we, at least I have been viewing the  
10                  exposure matrix.

11                  And I think in fact the operations,  
12                  the fire, the date of the fire, the  
13                  incinerator, the air sampling program, clearly  
14                  there was a lot more air sampling going on  
15                  than we would have previously understood. And  
16                  because you can see when you read through the  
17                  report that each time a visit was made some  
18                  air samples were collected. By the way most  
19                  of which showed negative results.

20                  The fire interestingly enough is  
21                  referred to as a fire associated with the  
22                  incinerator, and there are many aspects,  
23                  without getting into them right now. When  
24                  we're ready we will. There are many aspects  
25                  of this report that are extremely important in

1 terms of fully characterizing what had  
2 transpired at that facility. And I think it's  
3 important that many of the elements that are  
4 contained within this report need to be  
5 discussed within the context of how they may  
6 affect the exposure matrix that has been  
7 adopted.

8 **DR. NETON:** John, I've got a question. I  
9 didn't recall that the fire was associated  
10 with the furnace.

11 **DR. MAURO:** Well, the reason I say that is  
12 on page 51, during one of the health physics  
13 visits that were taken periodically -- This is  
14 the health physics visit that was taken on  
15 June 1<sup>st</sup>. Do you have a copy of the report in  
16 front of you?

17 **DR. NETON:** Yes, I do.

18 **DR. MAURO:** They talk about, it's on that  
19 particular report. Apparently, there are  
20 these four or so visits that were made, and  
21 this was made in the first visit on June 1<sup>st</sup>.  
22 And if in that letter regarding the sort of  
23 status report of the program where they make  
24 mention of May 23<sup>rd</sup> as being the date of a  
25 fire, and in that very same write-up, on

1                   number five they use the words "air samples  
2                   taken at the roof during the course of the  
3                   fire in the incinerator." That sort of struck  
4                   me as strange.

5                   **DR. NETON:** I think in the course of the  
6                   fire in the incinerator. I mean, that was the  
7                   whole point of the incinerator was --

8                   **DR. MAURO:** That's what I didn't understand,  
9                   the fire in the, this is one of the examples  
10                  of the things that I wanted to air out a  
11                  little bit. This is one of the letters where  
12                  they talk about the May 23<sup>rd</sup> fire. And then a  
13                  little further on on the page they use the  
14                  term -- and I actually wrote a note that said  
15                  this sounds strange -- they use the term  
16                  "course of a fire in the incinerator," and  
17                  they talk about that fire. And I guess that  
18                  led me to think that what does that mean, a  
19                  fire in the incinerator?

20                  **DR. NETON:** I think though if you look at  
21                  page 40 there's a pretty good summary of what  
22                  the fires, there were two fires --

23                  **DR. MAURO:** Yes.

24                  **DR. NETON:** -- which both turned out to be  
25                  minor.

1           **DR. MAURO:** Yes, I agree.

2           **DR. NETON:** But neither of them refer to the  
3 incinerator. I think the incinerator by  
4 nature is a, I think what the intent of 51, at  
5 least my impression was that while they were  
6 burning chips.

7           **DR. MAURO:** Okay, I understand.

8           **DR. NETON:** So that's how I read it.

9           **MR. GRIFFON:** That's how I read it, too.

10          **DR. NETON:** At any rate I think we can talk  
11 about that more later, but I think that's what  
12 they were talking about.

13          **DR. MAURO:** Well, I wasn't, at this point  
14 there are a lot of elements like this like  
15 page 51 that I think we need to air out a bit  
16 regarding what the implications might be for  
17 the exposure matrix. I think some of the most  
18 important things that emerged for me was there  
19 was obviously a very, very strong health  
20 physics program. They took it very seriously,  
21 but at the same time, and there were air  
22 samples collected.

23                           And there's a lot of feedback that  
24 says that very little airborne activity,  
25 contamination was there. But then on the

1 other hand we do see some discussion of the  
2 date of the fire being the 23<sup>rd</sup>. I'm not sure  
3 what that does to the matrix. And it also  
4 means to me that maybe the single most  
5 important thing that struck me is that it may  
6 be that the June 11<sup>th</sup> samples, each of those  
7 four samples, the June 11 samples may not have  
8 been taken because of the fire.

9 In other words if the fire occurred on  
10 the 23<sup>rd</sup> and then a visit for health physics  
11 coverage or update was performed on June 1<sup>st</sup>,  
12 and then the urine samples were not taken  
13 until June 11<sup>th</sup>, it may be that the June 11<sup>th</sup>  
14 urine samples were just part of the ongoing  
15 periodic urine sampling program.

16 **MR. ROLFES:** John, let me stop you right  
17 there. I have a letter dated January 27<sup>th</sup>,  
18 1949, from George, I'm sorry, it's from B.S.  
19 Wolfe to George Fox, and I'll read the first  
20 paragraph here.

21 It says, "In response to your letter  
22 of January 19<sup>th</sup>, 1949, the following laboratory  
23 results have been reported on the urine  
24 samples collected from the seven employees  
25 involved in the fire fighting episode last

1 June."

2 **DR. MAURO:** Okay, so now the thing that's  
3 interesting is though that what we have is the  
4 23<sup>rd</sup> to the 11<sup>th</sup>. So now the time period  
5 between when the fire occurred and when the  
6 urine samples were taken is substantially  
7 longer than what we were discussing earlier.  
8 I'm not quite sure what the implications of  
9 that are in terms of what intake should be  
10 assumed.

11 I still have these conflicting  
12 perspectives. One is I still agree that  
13 there's a point where the dust loading is so  
14 high that you really can't have protracted  
15 exposures. And that was one of the reasons  
16 why I was saying that it doesn't seem  
17 reasonable that you could have had exposures  
18 much earlier than June 10<sup>th</sup> and be responsible  
19 for .08 milligrams per liter on June 11<sup>th</sup>.

20 So we have that, but then we have this  
21 May 23<sup>rd</sup> fire, so what the implications are is  
22 that I don't think the June 11<sup>th</sup> data and the  
23 .08 milligrams that we clearly observed is  
24 necessarily related in any to the fire except  
25 maybe they collected the sample because there

1 was a fire. But I don't think the levels that  
2 were observed were due to the fire. It  
3 doesn't seem to make sense.

4 Do you see where I'm going with that?

5 **DR. NETON:** No, I don't. I don't think that  
6 the levels observed were not necessarily due  
7 to the fire.

8 **MS. BLOOM:** Maybe I could jump in for a  
9 second.

10 **DR. MAURO:** Sure, help me out.

11 **MS. BLOOM:** Because I think that these were  
12 workers that were involved in the clean up as  
13 well, and so this was probably a chronic  
14 exposure rather than an acute exposure that  
15 occurred. It's still, in looking at the data  
16 and playing around with different dates and  
17 different scenarios, that June 10<sup>th</sup> still gives  
18 the highest intake in doses for the coworker  
19 scenario.

20 But now if you're looking at the  
21 individuals you would use that data a little  
22 bit differently. While my sense is definitely  
23 that this was a, you actually had two fires  
24 during that period, one was a much, much  
25 smaller fire, but you had clean up ongoing

1 after the fire. And so you have really a  
2 chronic exposure period I think, not an acute.  
3 Although in fitting the data, and because we  
4 don't know exactly when that period was, it's  
5 more favorable to assume an acute.

6 But still I looked at an acute on the  
7 23<sup>rd</sup> versus an acute on the 10<sup>th</sup> with the other  
8 chronic period under it, and I still get  
9 higher doses for that June 10<sup>th</sup> assumed date  
10 even though we now know that the 23<sup>rd</sup> is a more  
11 reasonable date for that.

12 **DR. NETON:** Not to confuse here, but that's  
13 when we applied a coworker model assuming that  
14 the person was chronically exposed to the 70  
15 MAC operation in addition to an acute fire.

16 We reconstruct a dose for the person  
17 involved in fighting the fire differently.  
18 And that's what Cindy alluded to is that that  
19 individual dose calculation would go up for  
20 someone who only fought the fire if there was  
21 an acute exposure on the 23<sup>rd</sup> and we had a  
22 sample on the 11<sup>th</sup>.

23 **MS. BLOOM:** (Unintelligible) data and the  
24 fire date.

25 **MR. GRIFFON:** Can you help me out, Cindy?

1 How did you determine, you just said one of  
2 the fires was much smaller? How did you, I'm  
3 reading what Jim was just quoting from which  
4 says that there were two fires, both of which  
5 turned out to be minor.

6 **MS. BLOOM:** If you look at -- I'm sorry,  
7 I've had a week of it with the floods and lack  
8 of phone and so my brain's not totally here  
9 today. But there's the can and there's a  
10 second one where the turnings caught on fire.

11 **DR. NETON:** The first fire -- and we're  
12 looking at page 40 -- is a bucket of fine  
13 grindings where they had covered with water  
14 and the water went below the top surface, and  
15 they ignited. Then they put this out with an  
16 extinguisher, bicarbonate of soda and sulfuric  
17 acid.

18 The second one was a ten-gallon steel  
19 drum filled with oil fill turnings. They had  
20 as a practice of, none of these turnings were  
21 roasted by the way. The drums were filled  
22 with oil and shipped directly, I think, to Oak  
23 Ridge. But while they were spot welding the  
24 top on, some of the turnings caught fire in  
25 that drum. And then it said the cover was

1 removed and the fire was easily extinguished  
2 with flaked graphite.

3 So these do appear to be two fairly  
4 minor fires. I mean, we've had images  
5 thinking all along about these huge fires  
6 engulfing large portions of the plant. In  
7 fact, they were both confined to either a drum  
8 or a bucket.

9 **MR. GRIFFON:** Well, that was my next  
10 question, Jim. I thought, and maybe I'm  
11 wrong, but I thought there was response from  
12 the town on this fire that we were thinking  
13 about --

14 **DR. NETON:** I don't think we have evidence  
15 that happened.

16 **MR. GRIFFON:** Never confirmed that or --

17 **MS. BLOOM:** There was not, we've seen no  
18 information. I know [Name Redacted] was  
19 looking into that as were some of the folks  
20 from Chapman, but they could find nothing that  
21 indicated that the town responded. In fact,  
22 they were looking at other --

23 **MR. GRIFFON:** Yeah, I know they were looking  
24 at the firehouse records and stuff.

25 **MS. BLOOM:** -- and they found nothing that

1 indicated that they'd come in.

2 **DR. NETON:** This document is kind of  
3 interesting in the sense that it's a  
4 retrospective evaluation of this entire  
5 project from start to finish. And it seems to  
6 me that this person who wrote it, Kemmer and  
7 Musgrave and Fox, were fairly well involved in  
8 this process. I mean, it's amazing the amount  
9 of detail they have. But, see, I don't know  
10 that, the fire department may have come to  
11 Chapman Valve at various times, but it does  
12 not appear that it would have been to these  
13 two small fires.

14 **MR. GRIFFON:** So out of these two -- to go  
15 back to the original question -- so out of  
16 these two fires you think the first one  
17 mentioned on page 40 here is the larger? I  
18 mean, I'm trying to, I didn't see a date for  
19 this second one I don't think and --

20 **DR. NETON:** No, we do have a date.

21 **MR. GRIFFON:** Oh, you do?

22 **MS. BLOOM:** It's in another memo. It's a  
23 handwritten note at the bottom of a memo that,  
24 I think we provided that last time.

25 **MR. GRIFFON:** Yeah, you probably did.

1           **DR. NETON:** It's also mentioned in this  
2 report somewhere. I've forgotten where it  
3 was, but they were both in late May.

4           **MR. GRIFFON:** So they both occurred before  
5 the June 11<sup>th</sup> sampling.

6           **MS. BLOOM:** Right. They had a bad May.  
7 We're having a bad April.

8           **MR. ROLFES:** I believe later on in the H and  
9 K Ferguson document as well it does refer to  
10 the larger fire on the 23<sup>rd</sup> is the one that was  
11 responsible for some of the contamination in  
12 the shop as well.

13           **DR. NETON:** That one would have been the  
14 ten-gallon steel drum.

15           **MR. ROLFES:** That was the first one on the  
16 23<sup>rd</sup> which --

17           **DR. NETON:** That was the one with the chips  
18 in a bucket near the grinder.

19           **MS. BLOOM:** Right.

20           **DR. NETON:** Not the chips but the fines.

21           **DR. MAURO:** That would be the write-up  
22 that's on page 51 of the Ferguson Report? I  
23 think that special report that was sent to  
24 Musgrave by Mirkle\*, and that was one of those  
25 --

1           **MS. BLOOM:** Right, and that's where he says,  
2 gives the date of the first fire there.

3           **DR. NETON:** May 23<sup>rd</sup>.

4           **DR. MAURO:** Yeah.

5           **DR. NETON:** And that would make sense  
6 because they apparently weren't successful.  
7 They tried to put out that first fire, or that  
8 fire with the bucket, with water and it didn't  
9 do very well.

10          **DR. MAURO:** You know what was interesting is  
11 on that memo, item number two says, "Air  
12 samples taken in the shop showed no detectable  
13 contamination." Now it's not really clear  
14 when, if the fire occurred on the 23<sup>rd</sup> in this  
15 write-up I'm looking at on page 51, the visit  
16 was made on the first. So apparently there  
17 are these periodic visits made.

18                   I'm assuming that that's when these  
19 assessments were performed, during these  
20 special visits of the health physics crew, and  
21 when they collected samples. They took swipes  
22 of various locations, and they investigated  
23 the status of operations in this two-page  
24 report. But one of the items they mention is  
25 these air samples.

1                   So I guess when I look at this I  
2 notice that that happens repeatedly. During  
3 each one of these visits apparently some air  
4 samples were collected, and there was no  
5 detectable contamination. I think that's an  
6 important piece of information. And that  
7 information, especially if we can get some  
8 idea of how they took the sample. In other  
9 words what the lower limit of detection was.

10                   Because what this would help do, quite  
11 frankly, is if we could somehow say that,  
12 okay, for each of these visits air samples  
13 were collected, and we had some information  
14 regarding what the lower limit of detection  
15 was for the sampling analysis that was done,  
16 and then somehow juxtapose that, those air  
17 samples that were collected, and these were  
18 taken in the shop areas, you know, where the  
19 activity was going on.

20                   And juxtapose that to the default  
21 assumption of 70 MAC, I think that it would go  
22 a long way as independent confirmation that  
23 your choice of the 70 MAC as being the chronic  
24 exposure to which everyone experienced, it  
25 would certainly be bounding. And I think

1 right now your choice of the 70 MAC can be  
2 argued as certainly bounding.

3 **DR. NETON:** John, I was looking at it from a  
4 slightly different perspective. I think, you  
5 know, I don't know where these air samples  
6 were taken, whether they just stuck them in  
7 the middle of the shop area or what, but we've  
8 got the specific process operations going on  
9 presumably while they're taking this air  
10 sample. And so for us to bound the workers,  
11 we need to have a better feel, or we need to  
12 focus on what the workers were experiencing at  
13 these operations.

14 Now one thing that struck me as  
15 supporting our case that 70 MAC is bounding  
16 is, and I think Mark put this in his e-mail,  
17 that all of the operations that involved  
18 grinding and turning and such were all done  
19 with liquid coolants. In other words they  
20 were not just dusty operations. They were  
21 cooled by either oil or by water-based  
22 coolants which would tend to keep the dust  
23 levels down.

24 And, of course, if you look at reports  
25 like, not the Adley one but the Harris Report,

1           they characterize exposures depending on  
2           whether they were cooled with oil or not.  
3           And, of course, the ones that were oil cooled  
4           or liquid cooled are much lower.

5                        Secondly, I think it struck me that I  
6           think these processes were by and large  
7           ventilated. Liquid cooled operations which  
8           are keeping the dust levels down in addition  
9           to ventilation which would explain why the  
10          general plant air is clean. It would also  
11          help support the fact that the operations  
12          themselves, the process-specific operations,  
13          were also on the lower end of the airborne  
14          scale.

15                    **DR. MAURO:** I came away with the same  
16          perspective on that also. That is, most of  
17          what you read here confirms that this  
18          operation was controlled. Even though it was  
19          an early operation, it had a great deal of  
20          controls, the use of the coolant and the fact  
21          that they had such health physics oversight.

22                    **INCINERATOR EXPOSURE**

23                    The issues related to the fire, I hear  
24          what you're saying. That is, your model for  
25          the exposed individual would be bounding. I

1                   guess the area that is left a little bit  
2                   uncertain still is when I read the incinerator  
3                   section, you know, twice a week the  
4                   incinerator was used for fines.

5                   And I think that that also is an  
6                   interesting story because as you pointed out,  
7                   the turnings were not included which would be  
8                   the larger pieces, and it was mainly fines.  
9                   Now, I'm not quite sure what the implications  
10                  of that are in terms of does that mean you  
11                  have reduced potential for airborne exposures  
12                  entering into the operating areas?

13                  And I can't really tell from the  
14                  description of the incinerator whether or not  
15                  the removal -- as you know from reading these  
16                  other reports, Harris and Adley, it's when  
17                  they're loading and unloading the incinerator  
18                  that is when you get quite a bit of airborne  
19                  dust. But most of the attention in this  
20                  write-up, interestingly enough, was not, you  
21                  would think that given the sensitivity they  
22                  had with these issues, it was not with any of  
23                  the airborne dust that may have been generated  
24                  with loading and unloading, it was more  
25                  associated with the discharges to the

1 atmosphere and the contamination of the roof.

2 So I guess indirectly, I mean, one  
3 could say that they really didn't even speak  
4 toward what type of dust loadings were  
5 associated with the loading and the unloading  
6 of the incinerator. And they describe a  
7 design with an opening, so I can't really tell  
8 from reading that that perhaps -- and they  
9 also describe a hood. Whether or not the  
10 nature of the operation and the design of the  
11 incinerator helped to reduce the potential for  
12 airborne dust loading within the facility.

13 Clearly, there was a problem with  
14 discharges to the atmosphere that they were  
15 very concerned about and the contamination of  
16 the roof. I don't know whether you folks have  
17 any sense for this particular incinerator, the  
18 picture. When I look at the picture it  
19 doesn't tell me anything.

20 **DR. NETON:** Yeah, John, I've got a few  
21 thoughts on that. I was pretty amazed that  
22 how small it was first of all, and it was kind  
23 of like how Cindy characterized it, a small  
24 furnace. I think it was a 15-by-15 inch  
25 square aperture to insert the material to be

1 roasted.

2 **DR. MAURO:** Yes.

3 **DR. NETON:** On top of that if you read  
4 further, there was a 500 linear feet per  
5 minute flow rate going through an eight-inch  
6 exhaust duct connected to the furnace. That  
7 is a pretty high flow rate, and I'd forgotten  
8 that calculate the capture velocity at the  
9 face of the furnace, but it's a pretty  
10 sufficient capture velocity. So I think the  
11 idea that this furnace was spewing exhaust  
12 into the room would not have much credibility.  
13 I think that --

14 **DR. MAURO:** You know, I hear you, and now so  
15 you're saying that when they were loading  
16 underneath this hood which had the capture  
17 velocity, that would be operating during the  
18 loading and unloading operations, not just  
19 during the actual --

20 **DR. NETON:** I don't know about, I can't  
21 guarantee that, but what I'm saying is while  
22 it's burning there's simply, I don't think  
23 there's much concern about the material being  
24 vented into the atmosphere --

25 **DR. MAURO:** No, I agree with that. It's

1 clear that --

2 **DR. NETON:** To get into the loading and  
3 unloading operations, I think one needs to  
4 maybe look at the scale of the operation. I  
5 did a rough calculation, and this is very  
6 rough. But we have exact dimensions of what  
7 kind of grinding and turnings were done on  
8 each of these slugs. I mean, it's amazing  
9 detail.

10 They'd come in with 12-foot long bars,  
11 one-inch diameter, and they describe exactly  
12 how they were cut, and how they were lathed  
13 down to within certain specifications. They  
14 turned down these bars by .1 inches. It was a  
15 one-inch diameter and a little button on the  
16 top. If you calculate how many fine materials  
17 would be ground off of those bars at peak  
18 production which was 1,200 slugs per day,  
19 you'd get something on the order of every two  
20 days -- and this is during only that four-  
21 month period where they did this -- you would  
22 get something on the order of -- I don't have  
23 the calculation in front of me, but something  
24 around, I think, five kilograms of fines  
25 generated every two days.

1           **DR. MAURO:** How does that compare to the  
2 magnitude of the fines that were processed,  
3 let's say, in the other reports we looked at  
4 where we saw these high levels of handling?  
5 Because I think you're zeroing in on really  
6 some good quantitative arguments that could be  
7 made.

8           That is, if you could show that the  
9 quantity of fines that were being consumed or  
10 roasted at this facility were substantially  
11 lower than the quantity, let's say, that was  
12 described either in the Harris, Adley, I  
13 guess, yeah, those two reports, there would  
14 be, what that would help do is to sort of rule  
15 out that you really could not have a situation  
16 where you can get dust loadings of the types  
17 that they observe, for example, in the Adley  
18 Report.

19           **DR. NETON:** I haven't looked at that, or we  
20 haven't to my knowledge, but I think we could  
21 even take this one step further and say  
22 uranium's a pretty dense metal so we did a  
23 quick calculation. If you have that mass of  
24 fines every two days, and you're going to put  
25 it in a furnace, what does that correspond to

1 in terms of volume?

2 Uranium is pretty dense. It's about  
3 16 grams per cubic centimeter. Although I'll  
4 agree, if you have fines, it's going to be a  
5 little fluffier than something like a pure  
6 metal. But even U-03 powder is about, I don't  
7 know, 15 grams. If you can do that  
8 calculation, you end up with something, and  
9 this is a rough calculation, but say about a  
10 half a liter of fines generated per two days.

11 You're talking about something that is  
12 like the volume of a large 16-ounce Coke  
13 bottle.

14 **DR. MAURO:** Yeah, yeah.

15 **DR. NETON:** And so it's hard for me to  
16 envision if you roast things that small a  
17 volume every two days that you could generate  
18 70 MAC continuous or something --

19 **DR. MAURO:** Yeah, or something, yeah. That  
20 would actually affect, I mean, you couple that  
21 up. I'm leaning in that direction also. The  
22 amount of additional airborne dust loading  
23 associated with the fines from incineration  
24 intuitively would seem to be small and not  
25 really change a time integrated intake at all

1                   because of the assumption you're using is 70  
2                   MAC.

3                                 What would be the clincher would be,  
4                   because you see looming in the background is  
5                   the fact that there were these very high  
6                   exposures associated with the loading and  
7                   unloading of incinerators at these other large  
8                   facilities like out at Hanford. And if it  
9                   could be shown that, well, the magnitude of,  
10                  the scale of the operation was such that the  
11                  amount of material that was handled, loaded-  
12                  unloaded, at Hanford dwarfed the amount that  
13                  was being handled here, I think that would be  
14                  the end of the story.

15                                **DR. POSTON:** Well, this is where I've been  
16                  trying to figure out where we were going. Are  
17                  we going to turn this into a research project  
18                  or are the assumptions that have been made of  
19                  continuous exposure over 16 months and so  
20                  forth, are those the bounding kinds of  
21                  calculations that we really need to do to, and  
22                  have been done to make a decision here? I  
23                  mean, we can suggest a lot of different things  
24                  that need to be done or could be done, maybe  
25                  not need to be done. I'm trying to understand

1 exactly where we're going here.

2 **MS. BLOOM:** I think we've already looked at  
3 the general inventory amounts that went  
4 through those different facilities. I'm not  
5 sure that the information is readily available  
6 on the actual amounts incinerated per day.

7 **DR. MAURO:** That's a good point. What  
8 you're saying is throughput alone would be a  
9 good metric of scale potential for fines  
10 associated with the loading and unloading as  
11 opposed to going directly to the amount of  
12 material that was incinerated.

13 **DR. NETON:** And qualitatively I'm looking at  
14 some of the notes that Cindy put out on that  
15 last document that compared a lot of different  
16 processes, and when you look at the oxide  
17 burnings, they're talking about shoveling  
18 oxides from trays into barrels, some oxides  
19 still red hot, shoveling, I mean, their  
20 shoveling this into large barrels.

21 **DR. MAURO:** Yes, yes.

22 **DR. NETON:** It indicates to me that it's  
23 fairly larger.

24 **DR. MAURO:** Yeah, absolutely.

25 **DR. NETON:** But, you know, I just still

1 think if you're shoveling something that's a  
2 liter or so --

3 **DR. MAURO:** You're using a spoon.

4 **DR. NETON:** I don't know about that, but  
5 first of all I think that when they're going  
6 into the furnace, these things were always  
7 kept under, it appears from the write-up,  
8 under some type of a liquid form, whether it's  
9 water-based coolant or oil, to keep the fires  
10 from happening in the plant. I don't think  
11 that they actually dried these things off  
12 before they put them into the furnace. So the  
13 loading operation I wouldn't think would be a  
14 problem.

15 And unloading would be, in my mind,  
16 the only potential here for a large exposure.  
17 And if you're unloading a small tray, and we  
18 even have the dimensions of the tray. I've  
19 forgotten what it was, but it's like a two  
20 foot by something tray. Well, it'd have to be  
21 smaller than two foot because the opening to  
22 the furnace is only 15 inches. These are  
23 pretty small trays.

24 I would be surprised if they would  
25 actually roast more than one tray every two

1 days. And we don't have a quantitative nail  
2 on this, but I think qualitatively it  
3 certainly points in the direction of 70 MAC  
4 continuous for the entire week is, entire time  
5 period is pretty favorable.

6 **DR. POSTON:** Yeah, I agree. So where do we  
7 go from here? What needs to be done?

8 **MR. GRIFFON:** I was just going to ask you a  
9 question on the inventory.

10 Cindy, you just mentioned the  
11 inventory. Did NIOSH, did anyone check this  
12 H.K. Ferguson document with your site profile?  
13 Is it consistent with the, I know they  
14 mentioned some numbers in the beginning here,  
15 page five to seven or eight, I think.

16 **MS. BLOOM:** I don't know that I had an exact  
17 inventory in the site profile. I had a  
18 guesstimate in that last document that I sent,  
19 and it looks like I was a little bit low.  
20 These numbers are a little bit higher, but  
21 not, I think they're within a factor of two of  
22 what I put out in the last paper based on  
23 estimates of the source term and the  
24 Brookhaven reactor. So they're similar.

25 **DR. NETON:** I also think if one looks at the

1 extended time period here, almost all of the  
2 operations of the grinding of the slugs or  
3 machining of the slugs occurred, it looks to  
4 me, it's over about a four-month period.

5 **DR. MAURO:** Yes.

6 **DR. NETON:** And so maybe there was some  
7 ancillary grinding and machining going on, but  
8 it would have been even a lot less than, what  
9 I had just calculated was for peak production  
10 of 1,200 slugs per day, and it drops off  
11 dramatically on either side of that. So then  
12 you end up with an equivalent air  
13 concentration of something like, pick a number  
14 three or four times that that we're assigning  
15 during the peak period.

16 **MR. GRIFFON:** And maybe, I don't know if,  
17 well, I mean, the question, John, I think you  
18 had this question of how does the date of the  
19 fire affect, I assume if you know individuals  
20 who were involved in this, and I think Cindy  
21 just said that it might affect individual dose  
22 reconstructions where we have their individual  
23 data, but the coworker model, the one you  
24 currently have on the table, notwithstanding  
25 my question of M and S, would be the most

1 conservative. Right?

2 **DR. NETON:** I think that's correct.

3 **MS. BLOOM:** Right.

4 **MR. GRIFFON:** I mean, I think that M-S mixed  
5 issue is a, I don't think that's an SEC issue  
6 necessarily anyway. I don't know if you've  
7 had a chance to assess that, but --

8 **MS. BLOOM:** I did take a look at that. I  
9 can talk about that if we, I don't know if we  
10 want to finish up with this first.

11 **MR. GRIFFON:** Yeah, I think we do.

12 **DR. POSTON:** Anything else that we need to  
13 discuss in here?

14 **MR. GRIFFON:** I mean, John, do you have any  
15 follow-up questions on that?

16 **DR. MAURO:** No, I --

17 **MR. GRIFFON:** I think the date thing, as far  
18 as the date of the fire being earlier, my  
19 personal review says that it's not going to  
20 affect that coworker model at all. So I don't  
21 think it makes a difference there.

22 **DR. MAURO:** Okay.

23 **MR. GRIFFON:** But I don't know if you guys  
24 have looked at that.

25 **DR. MAURO:** No, we haven't. We just noticed

1                   it when reading it, and that's why I put it  
2                   out in my e-mail as something we needed to  
3                   talk about. But we did not do any analysis  
4                   though.

5                   **DR. POSTON:** Anything else we need to  
6                   discuss on this issue?

7                   (no response)

8                   **M AND S EXPOSURE**

9                   **DR. POSTON:** Mark, you make a comment that  
10                  you didn't think the combined M and S type  
11                  exposures is an SEC issue, so do we even need  
12                  to talk about that?

13                 **MR. GRIFFON:** Yeah, I don't think we need to  
14                 necessarily resolve it on the call. My quick  
15                 look at it said that it might have affected  
16                 the intakes. It might have increased them  
17                 slightly higher, but Cindy may disagree with  
18                 that. But I don't think that's an SEC issue  
19                 so we can --

20                 **MR. ROLFES:** I think it's safe to say also  
21                 that any increase in intakes would be  
22                 adequately captured by the extended production  
23                 period that we've already assumed in our  
24                 Technical Basis Document as well.

25                 **MS. BLOOM:** Well, I think the answer's

1 really quick. I did a, Mark, you said you  
2 tried to look at this, and so you know how  
3 many different scenarios you can actually have  
4 to look at in order to look at it. By the  
5 time you look at 20 different organs and 50  
6 years and, it became a challenge. But I  
7 figured out a way to do a rough and dirty  
8 calculation for 50 years for all the organs  
9 and do that quickly. And I apologize for not  
10 sending that out.

11 But in looking at that it looks like,  
12 except for the first year, the doses are going  
13 to be higher in the later years for pure Type-  
14 S. And that's because your dose conversion  
15 factors combined with your intake retention  
16 factors are going to produce the highest doses  
17 in your organs. Now there's some exceptions  
18 for exposure periods less or of a year or  
19 less. And it might be in between there into  
20 that one-to-two years range. You know, to do  
21 it that finely is a tough job.

22 But in looking at that, the worst  
23 case, I think, was for the liver. And I  
24 looked at the first year dose and that's about  
25 ten percent lower for pure Type-S than it is

1 for that combination M and S. But I would say  
2 that for a person where you're only  
3 considering that first year dose, your  
4 probability of causation is going to be less  
5 than one percent.

6 So in terms of changing the outcome of  
7 any claimant it's just not going to happen.  
8 And so as a way to expedite claims, I think  
9 it's still reasonable to use either a Type-S  
10 or a Type-M, that is, and try to mix up your  
11 different types.

12 **DR. POSTON:** Okay?

13 **MR. GRIFFON:** Yeah, I mean, I'll accept  
14 that, and we always have the assumption that  
15 NIOSH is going to use the most claimant  
16 favorable approach given the organ and  
17 whatever, organ of interest.

18 **DR. POSTON:** Is there any more that we need  
19 to talk about on the special intake for the  
20 incinerator or do we think that that's bounded  
21 by the assumptions that are already used? Do  
22 we need to discuss that anymore?

23 (no response)

24 **MACHINISTS EXPOSURE**

25 **DR. POSTON:** The last issue I had was

1                   whether or not the 40 bioassay data points  
2                   that we have actually do cover the machinists.  
3                   I think it was Mark that pointed out that --  
4                   not Mark, I forget who it was now.

5                   **MR. GRIFFON:** Yeah, it might have been me.

6                   **MR. ROLFES:** Mark, Mark Rolfes. There were  
7                   40 bioassay results that were taken during the  
8                   highest production rate period between June  
9                   and October. It appears that they were  
10                  sampling these individuals at the time period  
11                  where there was the highest potential for  
12                  intake of uranium. And also, these 40 uranium  
13                  urinalysis results were taken from a  
14                  population of workers of approximately 70  
15                  individuals as documented in this H and K  
16                  Ferguson Report.

17                  **MR. GRIFFON:** Right, and I was asking about  
18                  whether we felt that the sample, and I would  
19                  say the three samples were good enough to  
20                  bound. Because my argument was that, or  
21                  question, was whether the highest potential,  
22                  potentially exposed worker was monitored  
23                  sufficiently that we could bound exposures.  
24                  And, you know, I see three machinists that  
25                  were monitored over this time. It's 40

1 samples, yes, I agree. But it was distributed  
2 amongst various types of job types. So that  
3 was the question really.

4 **MS. BLOOM:** Right, but it doesn't look like  
5 you have a lot of, I mean, just looking at the  
6 setup I wouldn't say that there'd be a lot  
7 more than three machinists. You might have  
8 six maybe.

9 **DR. NETON:** In fact, I looked through the  
10 film badge records, and I found there were  
11 about three or four other machinists, but  
12 their film badges were much earlier in the  
13 time period than these guys were who were  
14 working during the 1,200 slug per day peak  
15 production era. That was the way it appeared  
16 to me.

17 And then secondly, I think this  
18 exercise we've done by looking at the 70 MAC  
19 air that was derived from the bioassay data  
20 and doing sort of a sanity check and saying  
21 are we comfortable with the fact that the  
22 answer we got from the bioassay seems to be  
23 reasonable given what we know about the plant.  
24 And I think our previous discussion this  
25 morning seems to indicate to me that, yes, the

1                   70 MAC is a fairly reasonable upper bound that  
2 was produced by the bioassay results  
3 themselves. I can't, you know, given the fact  
4 that we had the liquid process and the  
5 ventilation over the machines and that sort of  
6 thing.

7                   **MS. BLOOM:** Mark, I don't know if you had  
8 the time to look at the layout of the machine  
9 shop, but it looks like there's only one  
10 centerless grinder. There's only one milling  
11 machine. So it doesn't look like you'd have  
12 that many more workers.

13                   **MR. GRIFFON:** Right, right, I agree with  
14 the, I mean, I looked at the film badge sheets  
15 also, and it did look like maybe eight or ten  
16 at most were in the machine grouping. And I  
17 think I agree with Jim's other statement that  
18 the, given our other general uranium  
19 information that you compiled and looked at.  
20 I think that also supports the argument for  
21 the 70. I don't think I have any more  
22 questions on that.

23                   I think, you know, I still say it's  
24 fairly limited for those jobs, but given  
25 you've got documents now that support that it

1 was definitely not open air machining. You  
2 have the oils or, you know, over the  
3 machining, and you've got other general  
4 documents that suggest you're in the right  
5 ballpark if not very conservative. So I think  
6 it's okay.

7 **DR. POSTON:** Anything else?

8 (no response)

9 **DR. POSTON:** I'm at a loss as to what's the  
10 next step. Perhaps Dr. Wade can help me here  
11 since I'm a rookie.

12 **MR. GRIFFON:** Can I ask one more thing on  
13 this Ferguson, just to close out the Ferguson  
14 thing for myself. I found this and I know, I  
15 was looking through some other documents I  
16 have on terminology. But there's a reference  
17 to TX metal. Can anyone help me out there  
18 what that means?

19 **MR. ROLFES:** Mark, this is Mark. That  
20 appeared to be the metal that wasn't, it  
21 appeared that it might have had some air in it  
22 because its density wasn't the same as the  
23 other uranium that was sent. And it said that  
24 -- oh, wait, I take that back. The TX metal  
25 was sent along with the virgin rod material,

1 as they called it. The TX metal was from  
2 other uranium that had been, it describes it  
3 pretty well in the H&K Ferguson documents, but  
4 it appears to be metal that had been machined.  
5 And it was scrap that was, I guess, put back  
6 into a rod, and it didn't have the, I guess  
7 they weren't able to re-melt it into a solid  
8 piece as they were the virgin material.

9 **MS. BLOOM:** The quality just wasn't as good.

10 **MR. GRIFFON:** So there's no chance that this  
11 was, I mean, I was trying to think if that TX  
12 in any way stood for a, I mean, there's no  
13 chance that it was other contamination in  
14 this. It's natural uranium by all  
15 indications, right?

16 **MR. ROLFES:** Yes, correct, it's not recycled  
17 uranium to our knowledge. It just appears to  
18 be metal that didn't have the same  
19 specifications as the virgin rod material.

20 **DR. MAURO:** Yeah, on page six the actual  
21 wording says TX metal was reported to have  
22 been extruded from ingots reclaimed by re-  
23 melting scrap and to be somewhat inferior to  
24 virgin metal in chemical, physical and nuclear  
25 properties. I guess, you know, it would

1 appear that that means that their only concern  
2 with the TX metal was that it did not have the  
3 same purity level, but there was no  
4 implication that it had any, that it was  
5 either recycled or enriched.

6 **MR. GRIFFON:** That was the question, and it  
7 just seemed to me this cohort, they didn't  
8 know what TX metals, if it had a definite  
9 definition, if anybody knew that. I guess it  
10 might just be reclaimed from scrap. I don't  
11 know.

12 **MS. BLOOM:** I think the codes change from  
13 site to site. While they're somewhat similar,  
14 my experience has been that it's hard to say  
15 that the code at one site means the same thing  
16 at another.

17 **MR. GRIFFON:** Oh, I agree, yeah.

18 **MS. BLOOM:** You usually start out thinking  
19 that and then sometimes I'm surprised.

20 **DR. WADE:** John, this is Lew. If you're  
21 ready, I could begin to answer your question.

22 **DR. POSTON:** That'd be fine. Go ahead.

23 **PRESENTATION TO THE BOARD**

24 **DR. WADE:** Let me start by verifying some  
25 facts, and Jim or Mark, I depend upon you for

1                   this. It is my recollection -- and tell me if  
2                   I'm right or not -- that the Chapman Valve  
3                   evaluation report is out there and has been  
4                   presented to the Board.

5                   **MR. ROLFES:** That's correct.

6                   **DR. WADE:** And the Board then asked SC&A to  
7                   look into the issue and had a working group  
8                   formed. What would happen, John, again, the  
9                   way the Board and its working groups have done  
10                  its business is that the working group doesn't  
11                  bring a formal recommendation to the Board.

12                  But what would happen is we have an  
13                  agenda spot set aside for Chapman Valve SEC  
14                  petition. The opportunity would be there for  
15                  the petitioners or their representatives to  
16                  speak if they would like. And then I think  
17                  the working group would provide its thoughts  
18                  to the Board, not in the form of a formal  
19                  recommendation, but the Chair, or in your case  
20                  someone that you would designate, would say to  
21                  the Board we've looked into these issues.  
22                  Here's what we found.

23                  There'd be an opportunity for SC&A to  
24                  comment if the Board would like to hear from  
25                  SC&A. There'd be the opportunity for a

1 minority report if whoever's making the  
2 presentation if another work group member had  
3 other thoughts that they would like. Enriched  
4 by that, that is, petitioners' comments,  
5 working group report delivered by a  
6 representative of the working group, minority  
7 reports if appropriate, comments by SC&A.

8 Then the Board would go back to the  
9 petition and decide how it wanted to proceed.  
10 It could decide it wanted to move forward and  
11 make a recommendation on the petition. It  
12 could decide it wanted more information. So  
13 that's a long answer. The short answer is  
14 that the work group needs to be prepared to  
15 make a fairly succinct and as much of a  
16 consensus report out to the Board as possible  
17 next week.

18 **DR. POSTON:** Okay, now you brought up the  
19 major problem for me is next week I'm going to  
20 be, as we say, behind the fence. That is,  
21 when you go to some of these DOE sites, you  
22 don't have any way to communicate. So someone  
23 on this work group will have to represent the  
24 thoughts of the work group to the Board  
25 because I won't be even able to communicate by

1 telephone.

2 **DR. WADE:** Well, Chapman Valve for the  
3 record is scheduled for next Thursday, May 3<sup>rd</sup>,  
4 at 4:00 p.m.

5 **DR. ROESSLER:** John, this is Gen. I'd be  
6 willing to make the presentation as long as  
7 you have some time this week to work with me  
8 on it.

9 **DR. POSTON:** Okay, I should have some time.

10 **DR. ROESSLER:** Okay, I have to leave on  
11 Sunday, so I'd have to work on it before then.

12 **DR. POSTON:** Okay.

13 **DR. WADE:** I also think good practice,  
14 particularly given this very special case  
15 would be if all of the working group members  
16 could have an opportunity to see it either to  
17 say they agreed with it or to prepare to make  
18 some sort of minority statement if they  
19 wished. I don't anticipate that; I'm just  
20 leaving open the possibility for good  
21 practice.

22 So if John's and Gen's sort of report  
23 could be in a form that the other work group  
24 members could see it and have an opportunity  
25 to comment or prepare comments for real time

1 delivery, I think that would be a good thing.

2 **DR. POSTON:** Okay, we could try to get it  
3 done this week since Gen said she had to get  
4 it done this week.

5 I guess, Lew, the other thing is based  
6 on what I've heard one would lean toward this  
7 is not an SEC situation, that NIOSH seems to  
8 have the information necessary to do the dose  
9 evaluations. Is that the next step? Is that  
10 what we're going to talk about?

11 **DR. WADE:** Well, I think now again you would  
12 need to frame your thoughts with Gen and now  
13 you've told the rest of the work group what  
14 your thoughts are. Awaiting other detail  
15 there could be a discussion of that now, and  
16 you could see if you had consensus for that.  
17 Others might want to wait to see more formally  
18 what you have to say, but again, I think that  
19 would come as comments from the work group.  
20 SC&A would have an opportunity to comment, and  
21 then the Board would pick it up. So I think  
22 it's quite reasonable for you to give a sense  
23 to the work group of where you think this is  
24 going and see if you have consensus of your  
25 work group.

1           **DR. POSTON:** Okay, well, based on the  
2           discussions that we've had in the last three  
3           meetings, it seems to me that the report to  
4           the Board would indicate that we believe that  
5           with their conservative assumptions of chronic  
6           exposure over 16 months and then bioassays,  
7           they have the ability to estimate the doses  
8           sufficiently for this purpose, and this would  
9           not be an SEC issue. So that would be, that's  
10          how I see it. And if there's a dissention, I  
11          guess we need to know about it or would like  
12          to know about it.

13                    Anybody want to speak to that?

14          **MR. GRIFFON:** I agree. For the time period  
15          in question in this --

16          **DR. POSTON:** Right, right, only for the time  
17          period in question. I'm not --

18          **MR. GRIFFON:** I just think we might want to  
19          say something to that and maybe, if possible,  
20          get DOL to give us a report in May because I  
21          know that's one question that the Senator's  
22          office has had, ongoing questions about. So I  
23          think we need to make sure that DOL is on top  
24          of this, and we are researching this. It's  
25          not going to drop off after this petition's --

1           **DR. POSTON:** Okay, so let me make sure I  
2 understand, Mark. So what we're saying is for  
3 this time period, the 16-month time period  
4 that we've been discussing, you're in  
5 agreement.

6           **MR. GRIFFON:** Yes.

7           **DR. POSTON:** But the enriched uranium and  
8 all the other stuff raise other issues that  
9 need to be looked at by --

10          **MR. GRIFFON:** It's this question of whether  
11 there were other operations prior to or  
12 possibly post but more likely prior to this  
13 time period.

14          **DR. ROESSLER:** John, I think it would be  
15 helpful if you state the dates for the record  
16 of this 16-month time period.

17          **DR. POSTON:** I'm going to have to dig  
18 through my paper to do that.

19          **DR. ROESSLER:** I think I have it here, and  
20 let's see if Lew agrees. I think it's January  
21 1<sup>st</sup>, 1948 through December 31<sup>st</sup>, 1949, and then  
22 I'm not so clear about this, but then there's  
23 another date on here, January 1<sup>st</sup>, 1991. I  
24 don't think this really goes as part of it.

25          **MR. ROLFES:** Gen, this is Mark Rolfes. I

1 can clarify the dates for you if you'd like.

2 **DR. ROESSLER:** Okay.

3 **MR. ROLFES:** The current 16-month time  
4 period that we're talking about was the  
5 assumed chronic intake and exposure time  
6 period associated with the uranium machining  
7 operation which was conducted from January 1<sup>st</sup>,  
8 1948 through April 30<sup>th</sup>, 1949.

9 **DR. ROESSLER:** April 30<sup>th</sup>, okay.

10 **MS. BLOOM:** That's our assumed end date.  
11 The DOE assigned dates of '48 to '49 for the  
12 operational period, the AWE period.

13 **DR. ROESSLER:** Okay, I think we need to have  
14 that on the record.

15 **DR. WADE:** I'll ask Jeff Kotsch. Jeff, are  
16 you still with us?

17 **MR. KOTSCH:** Yeah, I'm here.

18 **DR. WADE:** The work group is asking that if  
19 possible, DOL covers the status of this during  
20 their program update or in real time during  
21 this discussion. Can this serve as adequate  
22 request from the work group to DOL to do that?

23 **MR. KOTSCH:** Yeah, because I'll be there  
24 next week, and I want to make sure I have at  
25 least whatever the status of this, of the

1 review is.

2 **DR. WADE:** Okay, thank you.

3 **DR. POSTON:** I've heard from Mark and Gen.  
4 How about Brad. Do you have anything?

5 **MR. CLAWSON:** Yeah, I was just listening to  
6 Mark and you, and I just guess I need a little  
7 bit of clarification because one issue that's  
8 still raised with me is the enriched uranium  
9 sample. But from hearing what Mark said, that  
10 isn't really a part of this SEC. Is that  
11 correct?

12 **DR. POSTON:** Yes.

13 **MR. CLAWSON:** Okay, so we're not just  
14 totally dismissing the enriched uranium  
15 samples that were found, right?

16 **DR. POSTON:** Right, we're not dismissing it.

17 **MR. GRIFFON:** That along with those  
18 interviews, I guess the one interview really,  
19 that SC&A did, and we're going to look into  
20 the possibility of whether operations --

21 **MR. CLAWSON:** Okay, then that's --

22 **MR. GRIFFON:** -- DOL is looking at that.

23 **MR. CLAWSON:** Okay, that was my only thing  
24 because as we've found at many of these other  
25 sites, there's a lot of interesting stuff that

1                   came in and went out that really weren't  
2                   documented that well. But this is just for  
3                   the SEC petition pertaining to that time frame  
4                   that we had discussed, correct?

5                   **DR. POSTON:** Correct.

6                   Mike, are you still there?

7                   **MR. GIBSON:** Yeah, I'm still here.

8                   **DR. POSTON:** Do you have anything you want  
9                   to -- are you okay with what we're doing?

10                  **MR. GIBSON:** Yeah, pretty much, I'm like  
11                  Brad. I just want to make sure we don't let,  
12                  you know, we've take into consideration the  
13                  workers' perspective and don't let that fall  
14                  through the cracks even though it's not part  
15                  of this process.

16                  **MR. GRIFFON:** Actually, one more question,  
17                  John. As a refresher to me, and I'm glad you  
18                  brought up the time frames, Gen. The 16 month  
19                  was my focus, and I think most of our focus.  
20                  But '91 through '93, can someone refresh my  
21                  memory of how, I'm sure it's addressed in the  
22                  site profile, but I just haven't looked at it  
23                  in awhile. How are you doing dose  
24                  reconstructions for that time period?

25                  **MS. BLOOM:** Why are you picking '91 to '93?

1           **MR. GRIFFON:** I don't know. It says '91 to  
2 '93 in the evaluation report. Am I wrong?

3           **DR. NETON:** 'Ninety-one to '94, I think is,  
4 oh, through '95.

5           **MR. GRIFFON:** I'm looking at page seven of  
6 your evaluation report I thought.

7           **MS. BLOOM:** Okay.

8           **DR. NETON:** And a proposed class definition  
9 for this period was through December 31<sup>st</sup>, '49  
10 and from January 1<sup>st</sup>, '91 through December  
11 31<sup>st</sup>, '93.

12           **DR. ROESSLER:** That's what I'm looking at so  
13 I need clarification on these dates.

14           **MR. ROLFES:** I believe in our evaluation  
15 report we had delayed the later time period  
16 during remediation for a separate evaluation  
17 report.

18           **MR. GRIFFON:** You did, okay.

19           **DR. MAURO:** This is John Mauro. There was a  
20 time period where there was a remediation  
21 phase which was around the '94, '95 time  
22 period which was delayed. But then there was  
23 another time period before that was prior to  
24 remediation, but there was residual  
25 radioactivity prior to going into the clean-up

1 operation.

2 And there was a characterization done  
3 as part of the, I think it may have been part  
4 of the FUSRAP Program, and there's lots of  
5 data. That is, they got a lot of information  
6 of what the residual radioactivity was. I  
7 believe they gathered that data in the 1980s  
8 as part of the characterization program for  
9 clean up.

10 And that data, if I remember, is the  
11 data that is being used for the purpose of  
12 dose reconstruction for claimants that may  
13 fall in that time period. I think it was '91  
14 to '94. I'm sort of doing this from  
15 recollection because we haven't looked at that  
16 in quite some time. But I remember when I  
17 reviewed the evaluation report I remember  
18 indicating that that time period seems to be  
19 fairly well covered with good data because it  
20 was a time period that had data collected in  
21 the, I guess, late '80s.

22 **MS. BLOOM:** It was in 1990s, and so that's  
23 the data that we've used for the residual  
24 period because we didn't have this earlier  
25 data which I will look at this again. But the

1 '94 and '95 were the clean-up points. I'm  
2 looking at the site profile now, and it's  
3 jogging my memory. But that was the clean-up  
4 period.

5 Now, I don't believe, I believe I  
6 looked at this before, and my recollection is  
7 that there were no Chapman employees on site  
8 or no claims for Chapman employees at that  
9 time. I think they were all offsite by that  
10 time.

11 **DR. WADE:** So let's have a concise statement  
12 by NIOSH of the time periods and what this  
13 work group is being asked to make a  
14 recommendation on.

15 Mark?

16 **MR. ROLFES:** Yes, let's see. I would have  
17 to pull up my evaluation report. I apologize.

18 **DR. WADE:** Why don't you do that.

19 **MR. ROLFES:** The main dates of discussion  
20 here are January 1948 through April 30<sup>th</sup>, 1949,  
21 which is what we have assumed in our Technical  
22 Basis Document. The actual covered employment  
23 period as covered by DOE is 1948 through the  
24 end of 1949. I would say that this discussion  
25 relates to the uranium machining and clean up,

1 1948 through our assumed date of April 30<sup>th</sup>,  
2 1949.

3 **DR. WADE:** What about the dates in the '90s?

4 **MR. ROLFES:** The dates in the '90s, I  
5 apologize. I'm slow here.

6 **DR. WADE:** Take your time.

7 **MR. GRIFFON:** Hey, Mark?

8 **MR. ROLFES:** Yes.

9 **MR. GRIFFON:** Can you tell us what document  
10 you're looking at, too, so we can all be  
11 looking at it, too? I'm looking at C-H-A-P-M-  
12 E-V-A-L-R-dot-pdf. And I'm seeing different  
13 dates and getting confused here.

14 **DR. ROESSLER:** That's why I brought it up.

15 **MR. GRIFFON:** Yeah, thank you, Gen.

16 **DR. ROESSLER:** I'm looking at the SEC  
17 petition evaluation report that was signed and  
18 dated August 30<sup>th</sup>, 2006, and that's where the  
19 dates don't match up. We need to know what  
20 document we're going from so we can refer to  
21 it.

22 **MR. ROLFES:** Okay, yes, the proposed class  
23 definition in the SEC evaluation report was  
24 January 1<sup>st</sup>, 1948 to December 31<sup>st</sup>, 1949.

25 **DR. POSTON:** You said the 30<sup>th</sup>?

1                   **DR. ROESSLER:** December 31<sup>st</sup>, 1949.

2                   **MR. GRIFFON:** That's the proposed. And then  
3 Section 9 -- I think I'm looking at page 38  
4 where it clarifies it, Mark, if you want to  
5 look.

6                   **MR. ROLFES:** Thank you.

7                   **MR. GRIFFON:** The second paragraph is year.  
8 For the purposes of this evaluation, the  
9 period from January 1<sup>st</sup>, '48 through April  
10 30<sup>th</sup>, '49, is evaluated as the operational  
11 period. I think this is what you're, if that  
12 helps you, Mark.

13                   **MR. ROLFES:** I'm looking at page 38 at the  
14 top, and it says Table 7-8 summarizes the  
15 results of the feasibility findings at Chapman  
16 Valve for each exposure source for the time  
17 period January 1<sup>st</sup>, 1948 to December 31<sup>st</sup>,  
18 1949, and from January 1<sup>st</sup>, 1991 through  
19 December 31<sup>st</sup>, 1993.

20                   **MR. GRIFFON:** And then on down below in  
21 Section 9.0 I think you, at the bottom of page  
22 38, the second paragraph was useful for me to  
23 look at.

24                   **MR. ROLFES:** Okay, for the purposes of this  
25 evaluation, the period from January 1<sup>st</sup>, 1948

1 through April 30<sup>th</sup>, 1949 are evaluated as the  
2 operational period. The periods from May 1<sup>st</sup>,  
3 1949 through December 31<sup>st</sup>, 1949 and from  
4 January 1<sup>st</sup>, 1991 through December 31<sup>st</sup>, 1993  
5 are evaluated as residual radioactivity  
6 periods.

7 **MR. GRIFFON:** And then you, this is what you  
8 kind of describe. The latter time period of  
9 the petitioner requested class was reduced  
10 from '91 through '95, to '91 through '93 in  
11 order to expedite the evaluation of the SEC  
12 petition.

13 **MR. ROLFES:** That's correct.

14 **MR. GRIFFON:** For the period '94 through '5,  
15 '94 through '95 period, will be evaluated as a  
16 remediation period. That's a separate, so  
17 that's going to be a separate SEC evaluation.  
18 Am I reading that correct?

19 **MR. ROLFES:** Let me verify what the actual  
20 class definition or initially our proposed  
21 class was. Yes, we did receive an initial  
22 proposed class definition from the petitioner  
23 to include '91 to '95. So we have evaluated  
24 '91 through '93 in this document, and we would  
25 have to evaluate the years of 1994 and 1995 as

1 well.

2 **MS. BLOOM:** If we have, I think we need to  
3 verify that we have a claim then. Is that  
4 true? If there's no claim during that period,  
5 would that still have to be evaluated?

6 **MR. ROLFES:** I don't believe we have a claim  
7 at this time, and I'm not sure honestly how  
8 that would work. If we don't have a claim,  
9 why we would need to evaluate --

10 **DR. WADE:** Well, let's just talk about what  
11 we're doing now, and we'll worry about that  
12 later. So what is the petition evaluation  
13 report that the Board will likely vote on and  
14 that this work group will comment on? What  
15 are the dates?

16 **MR. ROLFES:** Would you like me to summarize  
17 that, Lew?

18 **DR. WADE:** Yes, please.

19 **MR. ROLFES:** This would be January 1<sup>st</sup>, 1948  
20 through the end of 1949, which would be  
21 December 31<sup>st</sup>, 1949, and then also January 1<sup>st</sup>,  
22 1991 through December 31<sup>st</sup>, 1993.

23 **DR. WADE:** And anything that goes beyond  
24 12/31/93 is not being dealt with here. How,  
25 and if it needs to be dealt with is another

1 determination.

2 **DR. NETON:** Lew, this is Jim Neton. I've  
3 got LaVon coming up to my office right now to  
4 clarify because he is the one who has his  
5 pulse on all these dates and where they are,  
6 but I think what you said is correct. I want  
7 to verify that that's --

8 **MR. GRIFFON:** Yeah, that seems correct, and  
9 can I ask again back to my original question.  
10 So we are voting on at least some residual  
11 periods, not the clean up periods from '94 and  
12 '5, '94 and '95, but this residual period  
13 which is what you're saying, '91 through '93,  
14 and also May 1<sup>st</sup> of 1949 through December 31<sup>st</sup>,  
15 1949, are considered residual exposure time  
16 periods.

17 How are -- and this is a refresher for  
18 me really, I apologize. But how are you  
19 assigning dose during those time periods? Is  
20 that in the site profile that's based on what,  
21 some survey data or what's the basis? I'm  
22 trying to remember.

23 **MS. BLOOM:** It was based on the FUSRAP  
24 Survey data.

25 **DR. MAURO:** And I recall one of the, and now

1           that we're bringing these up because we really  
2           haven't focused in on this in some time, I  
3           recall now that one of our concerns was that I  
4           believe the FUSRAP data were collected in the  
5           '80s. And you're applying 1980 data for that  
6           residual time period that covered, I guess,  
7           from May through December of '49.

8                         That was the time period that it was  
9           called a residual exposure, and the 1980 data  
10          from FUSRAP was used as a basis for  
11          reconstructing doses for that time period.  
12          And we did express some concern that won't  
13          work because of the several decades between  
14          those two time periods. However, conversely,  
15          we felt that the FUSRAP data collected, I  
16          believe, in the late '80s perhaps, whatever  
17          the time frame was --

18                        **MR. GRIFFON:** I think it was actually the  
19                        '90s, right, Cindy?

20                        **DR. MAURO:** The data was collected in the  
21                        '90s? Okay, then that data did look good for  
22                        the residual period that was covered in, I  
23                        guess, it was 1990 that is part of the scope  
24                        here, the '91 to '93 or '94. So I remember,  
25                        it's coming back to me. I remember that it

1 looked like inadequate data to reconstruct  
2 doses.

3 And our report says this on your  
4 evaluation report. But it did look like there  
5 were some weaknesses in using that very same  
6 data to reconstruct residual exposures in the  
7 late 1949 time period. I think that might  
8 still be an issue that's on the table that we  
9 raised, SC&A raised, and that perhaps that's a  
10 subject that we should discuss.

11 **MS. BLOOM:** I misspoke before; there is one  
12 employee in that later years (sic). He was a  
13 stockroom/warehouse employee that was still  
14 onsite.

15 **DR. WADE:** Okay, let's deal with the issue  
16 of the second half of 1949.

17 **MS. BLOOM:** I think even there, even though  
18 we know things were shipped off there, I think  
19 that the exposure assumption for that whole  
20 first third of the year based on the 70 MAC is  
21 going to be claimant favorable for 1949  
22 especially when included with the later data.

23 I have started to look at the  
24 contamination remaining based on the H.K.  
25 Ferguson Report. And that doesn't initially

1            seem to contradict anything that I've looked  
2            at in terms of what the contamination levels  
3            that were measured in the 1990s were. So I  
4            think it will turn out, although I won't swear  
5            to it, but I think it will turn out that the  
6            numbers from the FUSRAP Survey will be in the  
7            right ballpark and probably favorable.

8            **DR. WADE:** But for the second half of '49  
9            you're proposing to use the exposures from the  
10           first half of '49? Is that what I heard you  
11           say?

12           **MS. BLOOM:** No, I'm saying that we've  
13           already accounted for a lot of exposure during  
14           that period because we know that material was  
15           sitting in cans waiting to be shipped. And we  
16           weren't sure exactly when the shipping date  
17           was.

18                      Now the report that we have is much  
19           more definitive in terms of saying everything  
20           was packaged up and things were neat and tidy  
21           by that date, by the end of 1948. But we've  
22           already included exposures through April 30<sup>th</sup>,  
23           1949 because we had some uncertainty there  
24           about when material was actually moved  
25           offsite.

1           **MR. GRIFFON:** I guess in theory, Cindy,  
2 someone could have started on May 1<sup>st</sup>, 1949,  
3 right? Then they'd only get the residual  
4 exposure.

5           **MS. BLOOM:** Right, right. And again, I --

6           **MR. GRIFFON:** I see what you're saying, but  
7 I guess there is the potential.

8           **MS. BLOOM:** Again, I've started to look at  
9 the H.K. Ferguson data as well, and what I'm  
10 seeing there is that doesn't appear to be  
11 contradicting anything that I'm finding in the  
12 regular years.

13          **MR. GRIFFON:** Your back extrapolation from  
14 the '90s --

15          **MS. BLOOM:** Right.

16          **DR. MAURO:** It looks like there's a lot of  
17 discussion and description of the  
18 decontamination program that took place  
19 following operations with a lot of information  
20 there. And you're right. If that information  
21 could certainly be used as a basis to compare  
22 to the 1990 FUSRAP data to see if they ring  
23 true. So I do think you have a hook upon  
24 which to confirm that the assumptions will  
25 work for those workers who might have only

1 worked there post-May 1<sup>st</sup>, 1949.

2 **MS. BLOOM:** Uh-huh.

3 **MR. CLAWSON:** Help me out. This is Brad,  
4 because everybody's been throwing out dates  
5 there. So what dates are we actually looking  
6 at? I looked at the site profile, and it says  
7 you have production reports clear up to April  
8 30<sup>th</sup>, 1949. What dates are we going to be  
9 looking at here?

10 **MS. BLOOM:** The site profile says that there  
11 was a shipment of waste offsite some time, it  
12 appeared there was one letter that indicated  
13 that it happened at the end of 1948. There  
14 was another letter that indicated that it  
15 might have happened in '49. I found an  
16 inventory report from Electromat\* that had a  
17 processing date of the Chapman Valve waste in  
18 April of 1949. And that's why I assigned that  
19 April 30<sup>th</sup>, 1949, because I didn't have any  
20 other date to close out that period.

21 So although the indications were that  
22 the work had all been completed by the end of  
23 1948, we didn't know exactly when the  
24 materials had shipped, and so that April 30<sup>th</sup>  
25 date was a conjecture on our part. We now

1                   have some more information that indicates that  
2                   -- and I'm not sure that I saw a shipping date  
3                   in here, but it looks like we've got clean up  
4                   numbers, and we can pin the whole thing down  
5                   better.

6                   **MR. CLAWSON:** So this SEC petition, we are  
7                   just looking at the end of 1948 then?

8                   **DR. NETON:** Yes, Brad, I can read to you  
9                   right from the proposed class definition.  
10                  It's January 1<sup>st</sup>, 1948 through December 31<sup>st</sup>,  
11                  1949, and then from January 1<sup>st</sup>, 1991 through  
12                  December 31<sup>st</sup>, 1993. 'Ninety-three, it stops  
13                  at December 31<sup>st</sup>, 1993 because there was  
14                  subsequent clean-up work by Bechtel for DOE.

15                  We don't have the data for it. We're  
16                  still trying to get it, and we didn't feel  
17                  comfortable at that time that we were going to  
18                  get it in a timely manner. And it turns out  
19                  we didn't, and so therefore to move this thing  
20                  forward we said through December 31<sup>st</sup>, 1993 is  
21                  as far as we can evaluate this SEC.

22                  **MR. CLAWSON:** Okay, I was just, there was a  
23                  lot of different dates going around there, and  
24                  I was kind of getting confused --

25                  **DR. NETON:** But those are the two that are

1 on the proposed class definition, January '48  
2 through December '49; January '91, December of  
3 '93.

4 **DR. MAURO:** Jim, I noticed in looking at  
5 Appendix C of the Ferguson Report which is  
6 dated January 17<sup>th</sup>, 1949, it is a very detailed  
7 description of the decontamination operations  
8 at the plant.

9 **DR. NETON:** Exactly.

10 **DR. MAURO:** And the only thing, I guess,  
11 when I was looking at it, I noticed that they  
12 expressed lots and lots of information on  
13 swipe samples expressed in terms of DPM. That  
14 is, after clean up they took swipes, and they  
15 cleaned up some more and took some more  
16 swipes. And everything is expressed in terms  
17 of DPM. I'm used to seeing DPM per hundred  
18 centimeters squared.

19 **MS. BLOOM:** Those are per hundred square  
20 centimeters in the text in there. It says  
21 that all wipes were taken in a hundred square  
22 centimeters.

23 **DR. MAURO:** Thank you for that  
24 clarification. So I think I have to say from  
25 my perspective I think you have an enormous

1 amount of information in order to fully  
2 characterize the time period between May 1<sup>st</sup>,  
3 1949 and the end of 1949 contained in Appendix  
4 C to the Ferguson Report.

5 **MS. BLOOM:** Pardon?

6 **MR. GRIFFON:** I was asking what page that  
7 was on.

8 **DR. MAURO:** Page 63.

9 **MR. GRIFFON:** Sixty-three.

10 **DR. POSTON:** Anything else we need to  
11 discuss?

12 **MR. GRIFFON:** I'm trying to pull up the  
13 page. Did they talk about decontamination of  
14 the roof?

15 **DR. MAURO:** Yes, everything.

16 **DR. NETON:** It goes all the way through page  
17 75, so it's a fairly detailed description of  
18 all the decontamination operations.

19 **MR. GRIFFON:** That makes me happy. It looks  
20 like most of the contamination was on the  
21 roof.

22 **DR. NETON:** A lot of it. They blew that  
23 back from the furnace went out on the roof.

24 **DR. MAURO:** Yep.

25 **DR. POSTON:** Is everybody still in agreement

1                   though with the way we decided to proceed?

2                   **MR. GRIFFON:** Yes.

3                   **DR. POSTON:** Is there anything else that we  
4 need to discuss on this call?

5                   (no response)

6                   **DR. POSTON:** Well then, my understanding of  
7 how we will proceed is that Dr. Roessler and I  
8 will get together as soon as possible this  
9 week, try to put together a statement as to  
10 what are the conclusions of this work group,  
11 and we'll circulate it to the work group so if  
12 anyone has comments or has a minority opinion,  
13 they will have the opportunity to express that  
14 at the May meeting. And also, that Dr.  
15 Roessler will represent the working group at  
16 the Board meeting. I will not be able to  
17 attend.

18                   Is there anything else?

19                   (no response)

20                   **DR. POSTON:** Are we ready to adjourn?

21                   **MR. CLAWSON:** Jim, this is Brad.

22                   **DR. NETON:** Yes.

23                   **MR. CLAWSON:** Gen, Gen Roessler?

24                   **DR. ROESSLER:** Yes, yes, Brad.

25                   **MR. CLAWSON:** I've got some work away from

1 my other work out there. I just wanted to  
2 make sure if you could send that to me to my  
3 home address. I believe that you have that.

4 **DR. ROESSLER:** Okay, home e-mail address?

5 **MR. CLAWSON:** Yeah, that's my msn address.

6 **DR. ROESSLER:** Well, listen, let me jot it  
7 down to make sure.

8 **MR. CLAWSON:** Okay, because I won't be able  
9 to get my site.

10 **DR. ROESSLER:** Okay, give it to me now.

11 **MR. CLAWSON:** [Information Redacted]

12 **DR. ROESSLER:** I'll make sure we use that  
13 one.

14 **MR. CLAWSON:** Okay, thank you so much.

15 **DR. POSTON:** Well, thank everyone for your  
16 time and your contributions, and we'll get  
17 this out to you as soon as we can. And I'm  
18 sorry I'm not going to see you in Denver, but  
19 I'm sure I'll see you at the next meeting.

20 **DR. WADE:** Thank you very much.

21 **DR. POSTON:** Thank you everyone, bye now.

22 (Whereupon, the working group meeting  
23 concluded at 10:40 a.m.)  
24

1

**CERTIFICATE OF COURT REPORTER****STATE OF GEORGIA****COUNTY OF FULTON**

I, Steven Ray Green, Certified Merit Court Reporter, do hereby certify that I reported the above and foregoing on the day of April 23, 2007; and it is a true and accurate transcript of the testimony captioned herein.

I further certify that I am neither kin nor counsel to any of the parties herein, nor have any interest in the cause named herein.

WITNESS my hand and official seal this the 13th day of June, 2007.

---

**STEVEN RAY GREEN, CCR****CERTIFIED MERIT COURT REPORTER****CERTIFICATE NUMBER: A-2102**